



Uploaded to VFC Website

~ November 2012 ~

This Document has been provided to you courtesy of Veterans-For-Change!

Feel free to pass to any veteran who might be able to use this information!

For thousands more files like this and hundreds of links to useful information, and hundreds of "Frequently Asked Questions, please go to:

[Veterans-For-Change](#)

*Veterans-For-Change is a 501(c)(3) Non-Profit Corporation
Tax ID #27-3820181*

If Veteran's don't help Veteran's, who will?

We appreciate all donations to continue to provide information and services to Veterans and their families.

https://www.paypal.com/cgi-bin/webscr?cmd=_s-xclick&hosted_button_id=WGT2M5UTB9A78

Note: VFC is not liable for source information in this document, it is merely provided as a courtesy to our members.

Item ID Number 03934

Not Scanned

Author

Corporate Author United States Environmental Protection Agency

Report/Article Title Transcript: Public Hearing - "Incinerate Herbicide Orange at Sea"

Journal/Book Title

Year 1977

Month/Day April 7

Color

Number of Images 92

Description Notes

LIST OF ATTENDEES

Public Hearing on Application of the United States
Air Force for a Permit to Incinerate Herbicide Orange
at Sea

Washington, D.C. - April 7, 1977

	3
	5
	6
	7
	9
<u>Air Force</u>	12
Col. Gale D. Taylor, Kelly AFB, TX	14
Capt. James T. Goodwin, Kelly AFB, TX	15
Col. Walter W. Melvin, Jr., Brooks AFB, TX	16
Dr. Billy E. Welch, Brooks AFB, TX	17
Maj. James W. Tremblay, Kelly AFB, TX	18
Maj. Chuck Bullock, SAF/ILE, Washington, DC	19
Maj. Ronald D. Burnett, USAF/SGPA, Washington, DC	20
Capt. Gary D. Hawksworth, USAF, Washington, DC	21
Walter W. Barrett, HQ, USAF, Washington, DC	22
S. G. Laney, USAF/SGPA, Washington, DC	23
Ronald R. Whisler, HQAFLC, Dayton, OH	24
Thomas R. Dempsey, USAF, Washington, DC	25
A. Belous, USAF, Washington, DC	26
Grant Reynolds, USAF, Washington, DC	27
<u>EPA</u>	29
George J. Moein, EPA Reg. IV	31
David A. Eberly	32
W. Wade Talbott	33
Harold R. Day	34
Scott Slesinger	35
Virginia Gibbons	36
Harvey L. Warnick	37
Harry W. Trask	38
Eugene P. Crumpler	39
Carolyn K. Offutt	40
Raymond F. Krueger	41
Nathan Chandler	42
Kerrigan Clough	43
William Beller	44
T. A. Wastler	45
Lisa Friedman	46
Russel Wyer	47
<u>Congress</u>	49
Tom Houston, House Government Operations Ctee.	51
Thomas J. Payne, House Government Operations Ctee.	52
<u>Federal Agencies</u>	54
George L. Kinter, Dept. of State	56
Thomas M. Constant, Panama Canal Company	57
James J. Coniskey, GAO	58
<u>State Agencies</u>	60
Glen Wood, Jr., Ms. Air & Water Pollution Commission Jackson, MS	62

James J. Comiskey, CAO	57
	58
<u>State Agencies</u>	60
Glen Wood, Jr., Ms. Air & Water Pollution Commission	62
Jackson, MS	63
<u>Industry</u>	65
Stanley Sher, Ocean Combustion Service, Washington, DC	67
Gert Heinemann, OCS, Rotterdam	68
Tim Bruhus, OCS, Houston, TX	69
M. L. Neighbors, Universal Shipping Col, Arlington, VA	70
Ronald Barbaro, CBC Associates, Falls Church, VA	71
Kent Anderson, Trane Company, Washington, DC	72
Arnie Grant, TRW, Redondo Beach, CA	73
Birch Matthews, TRW, Redondo Beach, CA	74
Willis E. Pequegnat, TerEco Corp., College Station, TX	75
Alex Hershaft, IEC, Arlington, VA	76
<u>Environmental Groups</u>	78
Maureen Hinkle, EDF	80
Marion Parks, Rachel Carson Trust	81
<u>Press</u>	83
Lingyee Gibney, Bureau of National Affairs, Inc.	85
David Teppis, S. Mississippi Sun	86
H. V. Semling, Pesticide Chemical News	87
<u>Other</u>	89
Patrick Rahe, Washington, DC	90
<u>Army</u>	92
Duane M. Benton, HQ, Army, Washington, DC	94
Robert P. Bartell, Army Environmental Hygiene Agency	95
<u>Navy</u>	97
Paul J. Litvak, Naval Facilities Engr. Command	99
Capt. J. B. Groff, USN	100
Carl Zellig, USN	101
<u>Coast Guard</u>	103
Cdr. James Costich, USCG	105
John P. Meade, DoD, OASD(I&L)ES, Washington, DC	107
Theodore J. Sullivan, NSWC	108
Louis Granger, Military Sealift Cmd.	109
Elmer C. Donnelly, Military Sealift Command	110
David P. Forbes, Defense Logistics Agency	111
Joseph W. Urbanek, Defense Logistics Agency	112
W. J. Darrow, DPDS	113
Edward Coale, PM-CDIR	114

cp26

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

Public Hearing

"Incinerate Herbicide Orange at Sea"

Thursday, April 7, 1977
9:40 a.m.

Hearing Room 2117
401 M Street, S.W.
Water-side Mall
Washington, D.C.

Hearing Officer: Mr. Brian Molloy

Accompanied by: Mr. Kenneth E. Biglane, Director, Oil and
Special Materials Control Division, EPA,
Washington, D.C.; and

Dr. Ronald A. Venezia, Sanitary Engineer,
Industrial Processes Division, Industrial
Environmental Research Laboratory, Research
Triangle Park, North Carolina

1 HEARING OFFICER MOLLOY: Good morning.

2 Can everybody hear me? No? Is that better?

3 Can you hear me in the back?

4 Good morning. I am Brian Molloy, Director of the
5 Environmental Protection Agency, Water Enforcement Division.
6 On my right is Mr. Kenneth Bigliani, the Director of the
7 Environmental Protection Agency's Oil and Special Materials
8 Control Division. And on my left is Dr. Ronald A. Venezia,
9 who is a Sanitary Engineer, Industrial Processes Division,
10 at EPA's Environmental Research Laboratory, Research
11 Triangle Park, North Carolina.

12 This is the third session of a public hearing.
13 The first two sessions were held in Honolulu, Hawaii and
14 San Francisco, California during 1975. The purpose of the
15 hearings were to receive information on the application
16 of the United States Air Force to dispose of approximately
17 two and a quarter billion gallons of a chemical known as
18 herbicide orange by incineration at sea.

19 The Air Force has applied to the Environmental
20 Protection Agency for a permit pursuant to the Marine
21 Protection Research and Sanctuary's Act of 1972 to burn
22 the material about 120 west of Johnston Island in the
23 Pacific Ocean.

24 EPA has reviewed the information made available
25 by the Air Force and other interested parties and has made

1 a tentative determination to issue a research permit to the
2 Air Force that would allow approximately 4200 metric tons of
3 the material to be incinerated under certain controlled
4 conditions.

5 The conditions as set forth in EPA's tentative
6 determination are as follows: one, the incineration will
7 take place within a disposal site. The disposal site
8 coordinates were set out in the Federal Register notifying
9 you of this hearing.

10 Two, the emission rates will not be in excess of
11 one-tenth of one percent of the total amount burned.

12 Three, the herbicide orange will be removed
13 from the storage drums and located on the incineration
14 vessel in such a manner that no TCDD escapes to the
15 environment in measurable quantities. And the process of
16 removal of herbicide orange shall employ the best available
17 technology.

18 Four, the drums from which the herbicide orange is
19 taken will be triple rinsed with solvent prior to disposal or
20 otherwise clean to a degree equal -- I am sorry -- equal
21 degree by jet rinsing and the rinses will be added to the
22 waste to be incinerated.

23 Five, the carrier will maintain a combustion
24 temperature in such incinerator of at least 1200 degrees
25 centigrade.

1 Six, the feed rate of the herbicide orange into the
2 combustion chambers will be optimized to maintain stated
3 temperature at combustion efficiency.

4 Seven, applicant and the carrier shall maintain a
5 seal automatic monitoring device for constant review of the
6 operating temperatures of the incinerators.

7 Eight, the applicant will employ such other
8 monitoring procedures as are requested by the Environmental
9 Protection Agency.

10 A final determination to issue or deny the research
11 permit or to issue another form of ocean disposal permit
12 will be made as soon as practical after this hearing at the
13 receipt of public comment on the proposal. At the first
14 session held in Honolulu, we heard testimony from the
15 Air Force on the incineration itself, the selection of the
16 site, the monitoring provisions and the methods of removing
17 the material from the drums.

18 Testimony was also received from representatives of
19 Micronesia and environmental groups which tended to oppose the
20 location of the site. Additionally, testimony was received
21 from the owner of the incineration vessel, the Vulcanus.

22 And the testimony received during the second
23 session of the hearing in San Francisco resulted in the
24 hearing's temporary adjournment until such time as the Air
25 Force had sufficient data to demonstrate that there was no

1 feasible alternative of the disposal of herbicide orange by
2 sea incineration, taking into account the possible risk
3 associated with storage and transportation of the herbicide
4 orange and the use of the recovered constituents.

5 The alternatives of reprocessing herbicide orange
6 were presented at the hearings based on general information
7 which indicated that a potential for reprocessing did
8 exist which might destroy dioxin in the process or
9 concentrate it into readily disposable matter.

10 The Air Force has undertaken investigations
11 regarding the feasibility of reprocessing herbicide
12 orange. The results of these investigations are the subject
13 of today's hearing. The subject of today's hearing will
14 also include a statement by the Air Force as to the
15 procedure that it will follow in burning herbicide orange
16 should the research permit be issued.

17 The rules of today's hearing are as follows: this
18 is an informal hearing and there will be no cross examination.
19 Written questions from the floor should be handed to one of
20 the ladies by the door who will try to have -- and we will
21 try to have all germane questions answered given the constraints
22 of time today.

23 Everyone speaking should identify themselves by
24 name and affiliation. The order of speakers as far as
25 practical will be first the Air Force, second the

1 Environmental Protection Agency and this will be followed by
 2 comments from any elected officials, then comments from any
 3 state and local agencies, comments from any groups and
 4 finally comments from any individuals.

5 If anyone has a time problem he should make his
 6 problem known on the registration card and then we will
 7 try to shift the order if we can.

8 We would appreciate it, if possible, if any
 9 statements could be made in writing and then summarized
 10 when speaking. We are making a transcript today. If you
 11 have a written statement, please give it to the court
 12 reporter and also to the panel.

13 We are keeping the record open for one week from
 14 today so that any comments or documents received by next
 15 Wednesday afternoon will be considered before a final
 16 determination is made.

17 Finally, the people who operate this room have
 18 asked that no food or drinks can be brought into the
 19 room. So, please, if you have them, remove them.

20 I would like to call now on Mr. Kenneth Biglane,
 21 who has an opening comment to make. Mr. Biglane.

22 MR. BIGLANE: Thank you, Mr. Chairman.

23 In late 1974 and early 1975 the technology of
 24 ocean incineration of certain chemical wastes were
 25 introduced into this country. Extensive tests on the effects

1 of oxidized byproducts on the air and in the environment
2 and incineration efficiency were conducted by EPA,
3 universities and others in connection with the 1974-75
4 ocean incineration organochlorine waste in the Gulf of
5 Mexico.

6 Since that time additional research has been
7 conducted in order to better understand the relationship
8 between local short-term uses of the environment and the
9 potential for long-term impacts of ocean incineration.
10 Thus far, as you will hear, the results of our research
11 programs have been encouraging.

12 We have advanced measurably the level of our
13 understanding of incineration technology and we expect to
14 proceed today on the basis of that understanding. We are a
15 lot more confident today as opposed to two years ago that
16 this technology can be used to safely dispose of highly
17 toxic wastes.

18 However, we intend to pursue our understanding of
19 this unique capability to safely dispose of chemical
20 materials so that adequate guidelines can be prepared for
21 each type of waste that comes to our attention for
22 disposal.

23 Although the efficient destruction of toxic waste
24 is one way of protecting our environment, we are also
25 mindful that the safe re-use of so-called waste products is

1 also a desirable goal. Our shortages in energy and other
2 products will continue as the world increases its demands
3 for goods and products.

4 Until the technology for safe re-use of all such
5 materials is advanced, we must seize upon interim measures
6 in order to protect our fragile environment. Ocean
7 incineration represents just one such measure and we are
8 dedicated to developing those programs and criteria that
9 assure its safe application.

10 Mr. Chairman, that concludes my remarks.

11 HEARING OFFICER MOLLOY: Thank you, Mr. Biglane.

12 I would like to indicate before we start that we
13 have received a letter from the National Wildlife
14 Federation dated April 5th, 1977 from Kenneth S. Canlin,
15 counsel. This letter and the attachment to the letter
16 will be placed in the record.

17 I would like now to call on Dr. Billie E. Welsh,
18 Deputy Director, United States Air Force, School of
19 Aerospace Medicine, Brooks Air Force Base, San Antonio,
20 Texas. Dr. Welsh.

21 DR. WELSH: Thank you very much, Mr. Molloy. It is
22 a pleasure to be here at this continuation of the hearing
23 that we started in Washington in February of '75 and tracked
24 through Honolulu and San Francisco.

25 I think I would compliment you in your choice of

1 previous places to hold the hearing.

2 Since the previous hearings in April of '75
3 presented Air Force actions related to the disposal of the
4 material through early '75, I will touch on these aspects
5 this morning only to the extent necessary to give you a
6 perspective of the actions that have occurred since that
7 point in time.

8 First, we should recognize that herbicide orange
9 is an equal mixture, approximately 50-50 by volume, of
10 two commercially available agricultural products, the
11 butyl esters of 2,4-dichlorophenoxyacetic acid and
12 2,4,5-trichlorophenoxyacetic acid, or as we commonly
13 refer to them, 2,4-D and 2,4,5-T.

14 There are some 15 companies with registration
15 for products which contain mixtures of the butyl esters of
16 2,4-D and 2,4,5-T. In general, these products are not as
17 concentrated as herbicide orange, but one is nearly
18 identical containing 42.6 percent of 2,4-D and 42.2 percent
19 of 2,4,5-T.

20 In April, 1970 the U.S. Department of Agriculture,
21 Department of Health, Education and Welfare and the
22 Department of the Interior suspended certain uses of
23 2,4,5-T. Concurrently, the Department of Defense suspended
24 the use of herbicide orange in Vietnam.

25 As a consequence of this suspension the Air Force

1 acting as the agent for the Department of Defense was left
2 with some 1.5 million gallons of orange herbicide in Vietnam
3 and 0.8 million gallons of orange herbicide at
4 Gulfport, Mississippi.

5 Following that suspension in April 1970,
6 in September 1971, the Department of Defense directed the
7 Air Force to return this material from Vietnam and to
8 dispose of it in a safe, efficient manner. Subsequently,
9 in April 1972 the material stored in Vietnam was moved to
10 Johnston Island pending a final decision on the method of
11 disposition. About 900,000 gallons stored at Gulfport
12 already slated for shipment to Vietnam was held there in
13 storage at that site.

14 From 1971 to 1974, the Air Force investigated a
15 variety of both recovery and destructive techniques as
16 possible means of herbicide disposition. Of the techniques
17 investigated, however, only high temperature incineration
18 was sufficiently developed to warrant further investigation.

19 In December 1974, following in-depth studies of
20 various incineration methodologies, the Air Force filed a
21 final environmental impact statement with the President's
22 Council on environmental quality proposing the
23 ultimate disposal of orange herbicide by destruction
24 aboard a specially designed incineration vessel operating
25 in a remote area of the Pacific Ocean, west of Johnston Island.

1 The EPA held a public meeting in Washington, D.C.,
2 In February 1975, public hearings in Honolulu and
3 San Francisco in April 1975 to consider an ocean
4 incineration permit application submitted by the Air
5 Force in accordance with the Marine Protection, Research and
6 Sanctuaries Act.

7 During these sessions, testimony was presented
8 which indicated that techniques might have been developed
9 for chemically reprocessing the herbicide to remove
10 unacceptable quantities of 2,3,7,8-tetrachlorodibenzo-P-
11 Dioxin or TCDD. At the April meeting, it was concluded
12 that the option for use/reprocessing should be further
13 explored as a means of disposition prior to proceeding
14 with destruction of the herbicide.

15 Since that time, a reprocessing technique using
16 coconut charcoal -- activated carbon -- has been demonstrated
17 by a company known as Agent Chemical, Incorporated or ACI,
18 as I will refer to them in my presentation. ACI has
19 conducted pilot plant studies in
20 Gulfport, Mississippi at the Naval Construction Battalion
21 Center where the herbicide is stored. These studies were not
22 without problems.

23 Initially, ACI attempted to demonstrate both
24 a reprocessing technology and an incineration technology
25 which would result in ultimate disposal of the contaminated

1 carbon.

2 The plan called for totally incinerating the
3 carbon and its plastic canisters. However, during two
4 separate attempts using plastic canisters containing
5 uncontaminated carbon the incinerator failed to perform,
6 as expected.

7 After these failures, ACI proposed to eliminate the
8 incineration phase and to use steel canisters which could be
9 disposed of via burial in a Class I landfill. At that time,
10 ACI provided letters which indicated that these carbon
11 containing steel canisters could be buried in a Class one
12 landfill and that the requisite permits could be obtained.

13 On this basis a third test was authorized in
14 June-July 1976. During which we processed -- or Agent
15 Chemical Company processed approximately 1,000 gallons of
16 herbicide in our mind very successfully via the charcoal
17 adsorption technique.

18 The ACI technique which was shown to reduce the
19 unacceptably high concentrations of TCDD in the herbicide,--
20 and I might add parenthetically here that unacceptably high
21 concentrations in this context is in excess of 0.1 milligrams
22 per kilogram of TCDD. Their technique indicated that it was
23 effective and that one would have every right to expect that
24 a product containing less than this 0.1 milligrams per
25 kilogram would result in a full scale reprocessing.

1 This degree of reduction in the TCDD
 2 concentration would be sufficient to render the material
 3 registrable for sale and use. The process, however,
 4 would generate TCDD-laden charcoal housed in steel
 5 canisters. As many as 1,000 of these canisters, each
 6 approximately ten feet long and 30 inches in diameter and
 7 each containing more than one-half ton of charcoal, could be
 8 generated by a reprocessing action involving the entire
 9 stock of orange herbicide.

10 Based on the results of the ACI pilot plant studies,
 11 the Lix Force, in October of 1976, filed an amendment to its
 12 final environmental statement of the disposition of
 13 orange herbicide and in this amendment proposed the
 14 sale of the orange herbicide for reprocessing with the
 15 TCDD-laden charcoal in the steel canisters being under
 16 federally controlled, interim, recoverable storage until an
 17 environmentally acceptable method of disposal for
 18 the charcoal and canisters could be developed and demonstrated.

19 Many comments received on the amendment suggested
 20 that a defined solution was needed for destruction of the
 21 contaminated charcoal and that this should be done
 22 concurrently, if not before reprocessing was to proceed
 23 any further.

24 As an attachment to the record, I present a copy
 25 of the amendment as well as a copy of the comments we

1 received on the amendment.

2 These comments, plus other data that we obtained
3 subsequent to filing the amendment, indicated the need for
4 a thorough review of the overall herbicide orange disposal
5 project. As a result of this review, it was concluded that
6 reprocessing was not a feasible, timely, cost effective, or
7 environmentally acceptable alternative to incineration at
8 sea. The bases for this conclusion are as follows:

9 The only potential benefit to the reprocessing
10 option is that it would return the herbicide to beneficial
11 use. This action requires sale by the Government and would
12 provide a monetary gain to the Government. However, this
13 gain would be more than negated by the costs of solving the
14 various problems that would be generated by implementing the
15 reprocessing action.

16 I would like to run through a few of the major
17 problems that this would generate.

18 First, it would require a rather significant
19 commitment of natural resources including up to 700 tons of
20 new steel canisters, 640 tons of charcoal, 125,000 gallons of
21 diesel fuel, labor and materials necessary to construct a
22 storage facility and labor and fuel necessary to ship and
23 store the steel canisters and charcoal itself.

24 Second, current redraining operations have
25 generated approximately 5,000 gallons of contaminated diesel

1 fuel used to rinse the emptied drums. Reprocessing, if
2 implemented, would require that each emptied drum be
3 rinsed with approximately two gallons of diesel fuel. This
4 action would yield approximately 85,000 gallons of
5 contaminated diesel fuel or about 30,000 at NCBC and
6 55,000 at JI.

7 It has been suggested by the contractor that
8 this contaminated diesel rinseate could be used as a
9 diluent for the reprocessed herbicides. However, the
10 acceptability of such an approach was never resolved. Thus,
11 to implement reprocessing, a secondary disposal action likely
12 would be required to dispose of about 90,000 gallons of
13 contaminated rinseate.

14 Third, reprocessing would require the Department of
15 Defense to locate, identify, develop and dedicate for an
16 indefinite period of time an interim storage site and
17 facility for the TCDD-laden canisters. Due to recent events
18 involving TCDD, most notably the industrial accident in
19 Seveso, Italy, the existing public and political atmosphere
20 would make this task extremely difficult to accomplish.

21 The recent problems associated with storage of the
22 12 small canisters, each less than eight feet long and
23 approximately four and a half inches in diameter, generated
24 during AEC's pilot plant studies demonstrated the severity
25 of this problem. The states of California and Oregon refused

1 to allow disposal by commercial firms in a Class one landfill.

2 Subsequently, when the Air Force assumed control
3 and initiated action to remove these canisters from Oregon,
4 the States of Washington and Utah expressed strong -- and I
5 underline strong opposition to allow the canisters to even
6 pass through their states on the way out.

7 As a result, we put the canisters on Johnston
8 Island as an interim measure using dedicated airlift at a
9 cost of more than \$30,000 just to solve that particular, in
10 our minds, very small problem. It seems only reasonable to
11 assume that storage of 1,000 large canisters
12 would encounter even more problems.

13 Johnston Island is a bird refuge, and the
14 Department of the Interior, for example, has suggested
15 that storage of canisters generated by reprocessing at that
16 location would not be viewed as a favorable decision. Even if
17 an acceptable storage site could be found, the
18 development of such a facility to store this would be
19 costly and added to the total problem.

20 EPA has stated via letter that the contaminated
21 charcoal would be considered as pesticide-related waste
22 and thereby would require storage in compliance with the
23 provisions of 40 CFR 165.10. Estimated cost of developing
24 such facilities ranges from somewhere on the order of
25 a quarter of a million dollars to about a million and a half

1 for an enclosed storage.

2 Fourth, should the problem of locating, identifying,
3 developing and dedicating a storage site and facility be
4 solved, transportation of the canisters and other wastes
5 constitutes another costly and complex problem with potential
6 environmental overtones.

7 Cost would vary depending on both the location of
8 the storage facility and the mode or modes of transportation
9 used. As planned, the selection of the storage site
10 would have been done before the start of reprocessing. The
11 selection of a site for the future ultimate disposal of
12 contaminated carbon, however, could not be made until the
13 methodology of disposal was developed. It is very possible
14 that the ultimate disposal site would not be the storage
15 site. If this proved to be the case, the steel canisters
16 would again have to be transported, thus adding another
17 significant cost.

18 Fifth, and possibly the most significant, is that
19 reprocessing would require that we investigate, identify,
20 test and validate a method for the ultimate disposal of
21 the contaminated charcoal. Following this, there would be
22 the requirement to locate, identify, develop, test and
23 finally operate an ultimate disposal facility.

24 The optimistic view of incineration experts is that
25 a minimum of four to five years time and five to ten million

1 dollars would be required for the development and operation
2 of such a facility. In addition, environmental monitoring
3 and addition, environmental monitoring and additional
4 transportation costs could be expected.

5 In summary, it is our judgment that a satisfactory
6 reprocessing method which solves the total problem has not
7 been demonstrated and is not feasible. The charcoal
8 adsorption reprocessing would simply trade one storage
9 problem for another and the new storage problem
10 would be more difficult and costly to solve than the present
11 problem.

12 For this reason, the DOD has decided to terminate
13 its investigation of reprocessing and pursue the disposition
14 option of incineration at sea. This method is environmentally
15 acceptable, available, timely, cost effective and capable of
16 accomplishing ultimate disposal of the herbicide and its
17 contaminant.

18 Accordingly, the Air Force has requested the EPA
19 to reconvene this hearing for the purpose of issuing a permit.
20 A copy of the letter that we sent to the Administrator of
21 EPA is submitted for the record. During the remaining
22 portion of this presentation, I would like to address the
23 major actions associated with this incineration and describe
24 the environmental monitoring and contingency plans involved.

25 As an overview, we consider the herbicide will be

1 transferred from 55 gallon drums and loaded with drum
2 residue aboard the incinerator ship. Drums will be rinsed,
3 crushed and stored until transported to an open-hearth
4 furnace for destruction. Herbicide transport and drum
5 activities will be environmentally monitored. Spill
6 prevention and contingency control plans are on hand if needed.
7 The incineration aspects of the operation itself will be
8 closely monitored.

9 In short, the entire operation will be monitored
10 not only to identify problems, if they should arise, and
11 provide the necessary insight to take corrective action,
12 but also to document the overall efficiency and safety of the
13 operation.

14 Some of the procedures that we will use have been
15 outlined in an operations plan developed by Air Force
16 Logistics Command and this is submitted to you for the
17 record.

18 I would like to go into a bit more detail now
19 on the major aspects of our proposed action, first, dealing
20 with the herbicide drum rinsing, crushing and disposal.

21 We have something on the order of 15,000 drums of
22 material at Gulfport and 25,000 drums at Johnston Island
23 that will require disposition in an environmentally acceptable
24 manner. EPA's "Recommended Procedures for the Disposal
25 of Pesticides Containers and Residues," 40 CFR 165.9, are

1 are applicable and will be followed in this action. From the
2 available disposition options outlined in 40 CFR 165.9, we
3 have determined to recycle the drums as scrap metal.

4 The dextrum facilities at the respective sites have
5 been designed to allow herbicide removal and drum rinsing
6 to proceed continuously. The dextrum facilities have been
7 constructed to allow herbicide and rinseate to be pumped
8 to bulk haulers.

9 The drums enter the system, are opened, drained,
10 rinsed, and again drained. Subsequently, the drums
11 will be crushed, placed in temporary storage, and then
12 shipped to a steel manufacturing firm for recycle. Drum
13 rinsing and rinsing quality assurance procedures, drum
14 crushing, ultimate disposal, and interim storage will now be
15 discussed for us in just a moment.

16 Looking first at drum rinse -- well-drained
17 empty drums will be rinsed to comply with EPA triple rinse
18 procedures as outlined in Mr. Molloy's opening statement.
19 At Gulfport, the inverted drums will be given a spray rinse
20 with two gallons of diesel fuel and then allowed to drain for
21 an additional two minutes. At Johnston Island, the drained
22 drums will receive two separate spray rinses with one gallon
23 of diesel fuel, each rinse being followed by a two-minute
24 drain period.

25 Both drum rinsing procedures have been shown to remove

1 55 percent or greater of the herbicide residue; have been
2 reviewed by the EPA and have been judged to be equivalent to
3 the EPA triple-rinse procedures. Letters on this, Mr. Molloy
4 submitted to you for the record.

5 Additionally, based on discussions that we have had
6 with the EPA we will implement and carry-out a quality
7 assurance program during the actual procedure itself using
8 first good supervision to insure that things are done as they
9 are supposed to be done; and, secondly, to check on the
10 supervisors, we will have the quantity of the herbicide
11 removed from randomly sampled drums, tested, evaluated and
12 compared to the results of the EPA triple-rinse procedures.

13 If, for any reason, the quality of drum rinsing
14 falls below acceptable values, we have the necessary data and
15 capability to modify our procedures as we are going through.

16 The crushing of the drums will be done almost
17 immediately at the site. They will be crushed to approximately
18 one-third or less of their original size. Crushed drums at
19 Johnston Island will be bailed, palletized and placed in
20 storage on the existing stabilized drum storage facility
21 until such time as they are transported for ultimate
22 disposal. At Gulfport, the crushed drums will be placed in
23 an enclosure on the stabilized storage site, again, until
24 ultimate disposal.

25 I have used the word ultimate disposal a couple of

1 drums. In our minds, ultimate disposal would be accomplished
2 by a recycle of the steel drums in an open hearth
3 furnace at a temperature of about 2900 degrees Fahrenheit.
4 The material will be held at this temperature for several
5 hours.

6 Since the EPA requirements imposed on land-based
7 pesticide incinerators require that the material being
8 destroyed be burned at about 1800 degrees Fahrenheit for a
9 minimum of two seconds, it can be safely assumed that the
10 melting operation will readily and easily destroy the
11 insignificant amount of pesticide that could remain in an
12 individual drum.

13 Sale and recycle of these drums to a steel
14 manufacturer will be accomplished by the Defense Logistics
15 Agency in accordance with applicable federal regulations
16 governing scrap metal sale. The crushed drums will be
17 turned into the Defense Property Disposal Office servicing
18 the respective facilities at Gulfport and Johnston Island.

19 These organizations will accept accountability at
20 the time of turn-in, but physical custody will remain with
21 the turn-in activity, that is, Navy Construction Battalion
22 Center and Johnston Island until the sale of the drums has
23 been accomplished, and the drums have been removed from the
24 site.

25 One additional requirement will be involved and that

1 In Air Force certification that all EPA criteria applicable to
2 the drums have been met. A copy of this certification will
3 accompany the turn-in documents of this particular waste.

4 Additionally, the Department of the Defense and the
5 EPA have agreed to cooperate in identifying a suitable
6 steel plant for the recycle of this scrap metal. As
7 appropriate, contact with state and local authorities will be
8 effected through the proper regional EPA Office of
9 Solid Waste Management Programs.

10 I would like to say just a word about storage of
11 these drums pending destruction. Crushed drums will be
12 placed in interim storage at the respective sites. In
13 both cases, the interim storage site will be a designated
14 part of the area presently used for the storage of
15 herbicide orange.

16 We do not anticipate that there will be any
17 potential for adverse environmental impact due to the
18 thoroughness of the rinse procedures and due to the fact
19 that the storage location will satisfy the major provisions of
20 40 CFR 165.10.

21 These provisions include: controlled and limited
22 access; designed to preclude impact of water supplies,
23 ground water and surface water, and; are dedicated solely to
24 the storage of these drums.

25 The next area in our procedures I would like to

1 touch on would be the transfer operations.

2 The transfer of the herbicide from the approximately
3 13,000 55-gallon drums at Gulfport and 25,000 drums at
4 Johnston Island will be accomplished in specially designed
5 dedrummying facilities. At the Gulfport facility, we will
6 have four dedrummying lines operating producing a dedrummying
7 rate of approximately 1,000 drums per day. The material will
8 be loaded into tank cars and carried by rail to the dockside
9 for loading onto the Vulcanus itself.

10 The cars will be moved under the control of the
11 onsite project director and transportation office in
12 accordance with prescribed procedures of movement of this
13 type of material. These include such things as reduced
14 speed, guards at crossing and proper labeling of the cars.

15 We anticipate that we will have six cars being
16 loaded at the site and six cars will be at the pier
17 being off-loaded to the vessel. The transfer of the
18 herbicide to the vessel will be accomplished by pumping
19 from each car with positive step-by-step procedures to prevent
20 any spills in the process.

21 Additionally, we are restricting loading of the
22 ship to daylight hours. The dedrummying at Johnston Island
23 will be similar to that at Gulfport except for the fact that
24 we will utilize USAF R-5 refueler vehicles rather than
25 rail tank cars.

1 Obviously, in an operation of this proposed
2 magnitude there is a potential for human error to come in.
3 We have instituted or will institute a land based monitoring
4 program to document and support what we are doing.

5 Our present plans call for this monitoring support
6 to be provided by a contractor under direct on-site
7 supervision of personnel from our occupational environmental
8 health laboratory. We look at this particular monitoring
9 program, land base monitoring, as having two primary
10 purposes. One, to insure a maximum of worker safety, that is,
11 the industrial hygiene-type monitoring. And second, to
12 document the degree of any environmental impact.

13 The industrial hygiene monitoring will include
14 regular inspections to insure proper utilization of personal
15 protection equipment and the use of "personal air samplers"
16 to determine and document worker exposure to herbicide
17 vapors.

18 The environmental monitoring will include collecting
19 and analyzing air, water, soil, and sediment samples to
20 determine presence and concentrations of constituents of the
21 herbicide. Biomonitoring, using selected plants and animals,
22 will be conducted continuously to identify herbicide-induced
23 response, especially the effects of chronic exposure to very
24 low concentrations of herbicide.

25 In addition to this, the existing flora and fauna

1 around the operational sites will be observed regularly for
2 any evidence of herbicide-induced response.

3 Since the two sites of operation, Gulfport,
4 Mississippi and Johnston Island in the Pacific Ocean are
5 widely separated, the type of analytical support we will use
6 for these two operations is somewhat different.

7 At Gulfport, the U.S. Department of Agriculture
8 Environmental Monitoring Laboratory there at Gulfport, the
9 Wright State University Laboratory in Dayton, Ohio, the
10 Occupational and Environmental Health Laboratory at Kelly Air
11 Force Base will provide the support necessary for that
12 operation.

13 For the operation at Johnston Island, the Air Force
14 will establish at Johnston Island an on-site laboratory to
15 facilitate rapid analysis of the materials collected. The
16 Wright State University Laboratory will again be a
17 participant as well as the Environmental Health Laboratory at
18 Kelly.

op
end 1

19

20

21

22

23

24

25

Page 2
1 DR. WELCH: We have available for you and will
2 provide as a supplement to the record more details dealing
3 with this localized biomonitoring program that we have
4 underway.

5 Let me just say that we anticipate that this project
6 will have no significant environmental consequence. The
7 monitoring program that we developed is a completely
8 comprehensive plan that will thoroughly evaluate all aspects
9 of the herbicide orange transfer operation at most storage
10 locations, will yield factual documentation on the presence
11 or absence of environmental impact, and in my judgment a
12 very important facet of our plan is that it will provide a
13 basis for taking corrective measures during the operation
14 itself in the event that such corrective measures would be
15 called for.

16 So it is not just a historical documentation of
17 things that did occur. It is a dynamic plan, able to
18 influence what occurs.

19 Another area that has received considerable
20 consideration and is of importance is the area of spill
21 prevention control, or special contingency plans and
22 notification procedures. These have been worked out in
23 conjunction with the Environmental Protection Agency and the
24 U.S. Coast Guard, the overall operation. That is,
25 loading of the vessel, movement of the vessel

1 will be under the direction of the Air Force project director
2 or his deputy. Spill prevention and countermeasures will be
3 the responsibility of the Air Force on-the-scene
4 coordinator who is also predesignated on-the-scene
5 coordinator as defined in the national contingency plan.
6 This individual, the on-scene coordinator, will be located
7 at Gulfport and Johnston Island during operations at those
8 particular sites.

9 In the event of a casualty to the ship or a spill
10 incident at Gulfport or Johnston Island, an ambient operations
11 center at these locations will receive and retransmit all
12 notifications as required and serve as a situation room for
13 subsequent operations.

14 The Air Force Logistics Command Transportation
15 Control Center will assume this function while the vessel
16 is at sea. In addition, a U.S. Government representative
17 will be aboard the ship at departure at Gulfport until
18 departure. He will document the submission of reports and
19 any unusual occurrences.

20 This contingency plan identifies five phases of
21 the disposal operation and goes into them in great detail.
22 The land-based de-drumming effort at Gulfport, the movement
23 of the tank cars to the dock area; second, loading the
24 herbicide onto the M/V Vulcanus; third, ocean movement from
25 Gulfport to the Panama Canal Zone, from Panama to Johnston

js3 1 Island, and at sea during incineration; Fourth, transit
2 up the Panama Canal itself; and, fifth, and finally,
3 operations at Johnston Island. It describes the precautions
4 that will be taken during each phase of the operations to
5 prevent a spill. And in the unlikely event that a spill
6 occurs in the harbor, it will be treated as a major spill
7 regardless of the quantity. And as a consequence, the
8 appropriate government agencies and activities will be
9 notified.

10 The plan outlines the measures to contain the
11 herbicide to recover any quantity of spill in the vicinity
12 of the de-drumming sites at the dock area and onboard the
13 vessel at Gulfport and Johnston Island.

14 A supply of clean-up equipment and material will
15 be available for use at the de-drumming site along the route
16 to the dock area, at the dock and onboard the vessel. In
17 addition, an empty tank car, or tank truck in the case of
18 Johnston Island, will be prepositioned on the adjacent spur
19 track to serve as an emergency receptacle for recovered spill
20 material.

21 The plan also contains a listing of the U.S.
22 Government activities and commercial salvage firms to be
23 called on for assistance.

24 While the vessel is at sea responsibility for the
25 vessel and herbicide including disposition of the cargo

js4 1 rests with the master. To the extent that circumstances
2 permit, he will coordinate any action contemplated by the
3 Air Force project manager and the Military Sealift Command.
4 This will include such things as transfer of the cargo to
5 another vessel if practicable, incineration, or as a last
6 result, jettison. Recovery of jettisoned herbicide at sea
7 will be impractical.

8 During the canal transit the vessel is under the
9 operational control of the Panama Canal Company whose
10 contingency spill pollution plans will be observed. The
11 Air Force will, of course, coordinate and render any
12 assistance to Canal authorities to insure compliance with
13 these plans.

14 The contingency plan also will contained a detailed
15 list of agencies to be notified in the event of a casualty
16 to the ship or the herbicide and will provide for a daily
17 situation.

18 We are submitting to you a copy of the contingency
19 plan to elaborate on the points that I have just made.

20 During the earlier public hearings there was some
21 public concern voiced regarding downwind concentrations of
22 pyrolyzates from the ship incinerator stacks. Just to set
23 the stage for us, the nearest downwind areas are approximately
24 2,000 kilometers from the designated burn area.

25 To try to address some of these concerns the Air

Force contracted with TRW to predict theoretical downwind concentrations of TCDD, 2,4-D, 2,4,5-T and hydrochloric acid gas. Of particular concern to us was, number one, whether the plume would produce pollutants of any significance; and, second, would these pollutants be of such a sufficient concentration that they could be measured and monitored.

I won't attempt to go into the mathematics and the detailed technical description that accompanies the report on this. That we will submit to you for the record. Let me just say that we focused in very strongly on TCDD inasmuch as the concern has been expressed regarding the toxicity of that material and gave less rigorous treatment to 2,4,-D and 2,4,5-T.

The results of the analysis show that ^{the} TCDD released from the Vulcanus during incineration will have only a small impact on the environment. Using the worst case meteorological conditions -- and I would like to underline worst case meteorological conditions, such things as windspeed of 6 meters per second -- plume ground level centerline concentrations from this worst case using a worst case production of TCDD 0.537 grams per hour, we see a prediction of 1314 picograms per cubic meter at 5 kilometers downwind. At 70 kilometers downwind this concentration drops off to 104 picograms per cubic meter. And at 100 kilometers it drops off to 30 picograms.

js6 1 To carry this out to 150 kilometers and you see a
2 maximum concentration predicted under this worst case set
3 of circumstances of 1 picogram per cubic meter.

4 Now I have thrown a bunch of numbers at you, and
5 I would like to underline once again that this represents the
6 worst case conditions.

7 In actuality, at the prescribed emissions rate
8 ambient concentrations may be very, very much less because
9 of several things. The effective stack height may well be
10 greater than the 24 meters chosen for this particular
11 analysis. The atmosphere may not remain stable for more
12 than a few hours. An unstable atmosphere will enhance
13 plume dispersion. The plume may interact with the ocean
14 surface, and the plume may meander considerably over long
15 transport distances which would further increase the plume
16 dilution.

17 Furthermore, and very critical to this is that the
18 source amount of TCDD will actually be about 1/20th of the
19 number that was used in the calculation; 1/20th due to the
20 fact that for the worst case condition we took the highest
21 value of TCDD ever monitored, ever identified in any of our
22 herbicides and said that that is all -- that is typical of all
23 of the herbicides. Our data actually indicate that the
24 average concentration of TCDD is approximately 1/20th of that.

25 Finally, the interaction of the plume constituents

1 such as TCDD, 2,4-D and 2,4,5-T with sunlight would further
2 degrade the concentration of these materials.

3 Now directly south of the burn area some 1600
4 kilometers away we find Howland, Baker and Phoenix Islands.
5 The next closest land masses to the southwest are the
6 Gilbert Islands, some 2200 kilometers, and the Marshall
7 Islands, some 2000 kilometers. As our foregoing analysis
8 indicates, the plume will be well diluted by the time it
9 reaches these distant land masses, if it ever gets that
10 far. The sea-air interaction may well deplete the plume much
11 faster than atmospheric dilution. The TCDD levels at such
12 distant locations would be nondetectable by existing sampling
13 methods.

14 Both 2,4-D and 2,4,5-T, which are the main
15 constituents of herbicide orange, are expected to occur at
16 much higher concentrations in the atmosphere based on this
17 theoretical analysis.

18 Again, using the worst case conditions at 100
19 kilometers downwind of the source ambient levels would be on
20 the order of 106 nanograms per cubic meter, and peak
21 concentrations may occur at 1500 kilometers downwind on
22 the order of 10 nanograms per cubic meter. This approximates
23 out to about a part per trillion or so. And even in this
24 worst case condition, it is still less than the concentrations
25 known to produce critical damage in the most sensitive of

js8 1 plants. And its order of magnitude is below accepted
2 toxicologic values for levels of exposure to these types of
3 compounds.

4 I think that our analysis of this, supplemented
5 by the report that we are submitting for the record,
6 combined with the past data that is available on incineration
7 and the stack monitoring, which I would like to discuss
8 before I close, lead us to conclude that the operation is
9 safe, the levels of pollutants rapidly reach a level of
10 nondetectability and that the operation can be adequately
11 monitored by using onboard the ship monitoring techniques
12 with positive feedback into the incineration process.

13 With that in mind, I would like to conclude our
14 discussion by moving to the shipboard monitoring aspect.

15 Calling to your attention that the Vulcanus is a
16 chemical tanker of about 4770 deadweight metric tons, she
17 is outfitted with two incinerators aft of the bridge.
18 Each incinerator is designed to work independently and can
19 burn at the rate of 10 to 12 metric tons per hour per
20 incinerator. It takes approximately nine days to burn
21 a full shipload of waste.

22 In operation the furnaces are preheated with fuel
23 oil to a minimum of 1200 degrees Centigrade. Wastes are fed
24 to the incinerators using the injection pumps connected to
25 the tanks. The feed rate is regulated to maintain desired

1 temperature; that is, in excess of 1300 degrees Centigrade,
2 by manually adjusting the valves to the pump. If for any
3 reason the temperature in the incinerator drops below the
4 required temperature, the waste supply is automatically
5 shut off.

6 During the incineration of the herbicide orange
7 aboard the Vulcanus, the combustion product effluent stream
8 from the incineration will be sampled by means of probes
9 inserted into both incinerator stacks to extract combustion
10 products. To monitor the important gaseous species in the
11 process; i.e., oxygen, carbon dioxide, carbon monoxide and
12 hydrocarbons, ceramic probes installed in both stacks will
13 divert the gases to an online monitoring system set up for
14 this gas analysis.

15 For more comprehensive characterization, however,
16 of the combustion effluent chemical species and for specific
17 hazardous herbicide constituents, a water cooled probe capable
18 of traversing one of the incinerators; that is, being moved
19 across the stack of one of the incinerators, will divert a
20 representative portion of this effluent stream to two
21 sampling trains.

22 These trains that we will use, one developed by
23 the Air Force, which is a benzene impinger train previously
24 tested and proven effective for sampling TCDD; and, second,
25 a modified EPA Method 5 train, which incorporates a sorbent

10 1 trap and which has been used extensively for general trapping
2 of organic compounds in commercial incineration process
3 streams.

4 The protocols for sampling and sample analyses
5 represent a comprehensive and coordinated effort involving
6 the Environmental Protection Agency, the Air Force people,
7 TRW personnel, Battelle Columbus Laboratories, and Wright
8 State University in Dayton, Ohio. Sampling techniques have
9 been developed and tested by both the Air Force during previous
10 projects involving herbicide orange and by TRW to specifically
11 monitor shipboard incineration.

12 Analytical procedures for 2,4-D and 2,4,5-T
13 utilizing routine gas chromatography will be conducted by
14 Battelle in our laboratory on Johnston Island. High
15 resolution TCDD analyses will be performed by Wright State
16 University using gas chromatographic mass spectrometry
17 techniques developed specifically for and thoroughly tested
18 during previous projects involving herbicide orange.

19 We plan to conduct six tests aboard the Vulcanus
20 for each burn. Five will be during the burning of the
21 orange and one will be for background purposes. Each test
22 will be about three hours long and the time being selected
23 due to limitations of the benzene trains and the need for
24 time to clean the trains and prepare them for the next run.

25 The samples collected in the benzene train will be

1 analyzed for the three main orange herbicide components.
2 after the ship has docked. The samples collected on the
3 sorbent material will be analyzed at a later date for other
4 components which may have been emitted by the combustion
5 process.

6 Now to monitor the performance of the incinerator,
7 a separate ceramic probe will be inserted in each stack on
8 the ship. The lines leading from these probes will go to a
9 common gas conditioner system. Attached to this system will
10 be a series of instruments to continuously monitor the
11 operation of the incinerator.

12 A hydrocarbon analyzer, carbon monoxide monitor,
13 carbon dioxide monitor and oxygen monitor will be used to
14 determine the performance of the incinerator and calculate
15 the combustion efficiency of the unit. The manifold will have
16 a valve attached to it to enable us to monitor either
17 incinerator. During the sampling runs, the continuous
18 instruments will be on the unit being sampled.

19 In addition to this type of monitoring, we will
20 also have a gas chromatograph onboard the ship to be used to
21 evaluate the destruction efficiency of the incinerator.
22 Benzene samples gathered, as outlined above, will be injected
23 into the gas chromatograph to evaluate the destruction
24 efficiency.

25 Of the techniques that we have outlined, the gas

js12 1 chromatograph onboard the ship is the one unit that has not
2 yet been tested in the same manner as the other online
3 instruments have been. That is, aboard ship.

4 The continuous instruments will not be operative
5 24 hours per day but will be during the course of each
6 incineration, monitoring the burn on a random schedule.

7 Now we have talked about gathering samples, we have
8 talked about some onboard monitoring. Let me say just a bit
9 about what we do with the samples that we gather and do not
10 monitor onboard the vessel. Do not analyze, I should say.

11 When the vessel returns to Johnston Island
12 following the first burn, the real time analytical results
13 necessary to assess combustion efficiency -- that is, those
14 things that we did onboard the ship, oxygen, carbon dioxide,
15 carbon monoxide, hydrocarbons -- will be immediately
16 available. The data results will be there.

17 The stack samples that were gathered and passed
18 through the benzene train will be taken to the laboratory on
19 Johnston Island, aliquoted and samples contained for 2,4-D
20 and 2,4,5-T analyses. These should be available within 24 to
21 48 hours after the vessel docks.

22 Additionally, samples for TCDD analysis will be
23 packaged and taken by air from Johnston Island to the Wright
24 State University laboratory near Dayton, Ohio. Arrangements
25 have been made to insure that these samples will be delivered

1 to the laboratory within 72 hours after the Vulcanus returns
2 to Johnston Island after the first burn. Analytical results
3 should be available within 48 hours thereafter.

4 This series of results will then be delivered to
5 the Environmental Protection Agency for evaluation. We
6 would suggest during the course of an evaluation and
7 gathering of the data that the Vulcanus loading for the
8 second burn be initiated with the proviso stopping at a
9 preselected point of approximately one-half shipload.

10 EPA evaluation of the results of these analyses
11 should be used, obviously, to determine the acceptability
12 of the research burn. Based upon all of our previous work,
13 we are confident that these results will be acceptable. We
14 suggest that the precise nature of the permit for the
15 subsequent two burns, however, be dependent upon EPA's
16 evaluation of the results of the research burn.

17 Should the analyses of the test burn results
18 reveal that the thermal destruction is less than that desired,
19 we would like to leave consideration for a second research
20 permit, being able to modify incinerator operating parameters
21 in such a manner that, if necessary, thermal destruction
22 could be increased and enhanced.

23 In conclusion, Mr. Malloy, I would like to emphasize
24 to you and call to your attention a couple of things. One,
25 just to recognize the fact that this has not been strictly

1 on Air Force operation. It has not been strictly an
2 operation involving engineers, or biologists, air pollution
3 people. It has been a team effort. This team over a period
4 of time has been composed of people from the federal
5 government, state government, industry, academia. It covers
6 disciplines that are almost as broad as a university catalog
7 and with people that have been dedicated and extremely
8 well-qualified to carry out their task.

9 Our interest in the disposal of this product, we
10 think we have expended a considerable amount of time and
11 resources investigating various aspects of it, including the
12 reprocessing aspect. Initially, we viewed reprocessing with
13 hope and promise. However, after careful evaluation, we
14 have only concluded -- or we have concluded that reprocessing
15 would only trade a problem that we know how to solve for one
16 that we do not know how to solve.

17 In our judgment, incineration at sea offers the
18 most timely, efficient, economic, and environmentally
19 acceptable method for the ultimate disposition of
20 this herbicide. We feel that the operation can be carried to
21 a successful completion without -- and I repeat without
22 significant impact on the environment or on the health and
23 well-being of man.

24 We recognize and understand the emotionalism that
25 surround it. Nonetheless our data and our conclusions lead

1 us to say once again that we request, respectfully request a
2 favorable response from the EPA on our request of ocean
3 incineration permits, so this problem of rather long-standing
4 can be resolved once and for all.

5 Thank you very much.

6 MR. MOLLOY: Thank you, Dr. Welch. I have a few
7 questions. The first one is you mentioned that a government
8 representative will be onboard the ship from Gulfport
9 through Panama. Could you sort of explain what that person's
10 duties will be and then why is he not going to be on the ship
11 from Panama to Johnston Island?

12 DR. WELCH: Well, in terms of the duties that we
13 would envision him being there, would be a reassurance, as it
14 were, that the procedures, reports are being carried out
15 as we envision them to -- you know, in the event that
16 communications were to be lost for some period of time he,
17 indeed, could be a government representative onboard the
18 ship that could report back to us as to exactly what
19 happened and what went wrong with communications during that
20 time period.

21 He would have, obviously, no duties as it relates
22 to operation of the vessel, how the vessel is operated, how
23 it is under the control of the master of the vessel. He
24 would just be an observer there. And you, me, or anyone
25 else that is interested in the project, he would give us an

1 objective, unbiased opinion.

2 Being in the commercial business we felt that by
3 having such an individual onboard the ship from Gulfport down
4 to the Canal and through the Canal, we would at that point
5 in time have sufficient knowledge and data on how things
6 were moving and that it was not necessary to have someone
7 continue to ride the vessel from there to Johnston Island.

8 We have not yet identified who this individual is,
9 or what. We are thinking about starting a travel agency,
10 you know, putting this up as a pretty good deal.

11 MR. MOLLOY: Is there any specific reason, though,
12 why he couldn't go from Panama to Johnston Island on the
13 vessel?

14 MR. WELCH: I know of none.

15 MR. MOLLOY: You mentioned that if for any
16 unforeseen reason it was required to jettison the herbicide
17 from the vessel that it would be impossible to recover.
18 Do you know if it has ever been necessary to jettison the
19 material being burned from this particular vessel in the
20 past?

21 DR. WELCH: It has been indicated to me by the
22 owners of the vessel that there has not been a requirement
23 to jettison the cargo.

24 MR. MOLLOY: On the monitoring during the burn I
25 understand that you are proposing that we do not have ambient

js17 1 air monitoring and water monitoring at the site during the
2 burn.

3 DR. WELCH: That is correct.

4 MR. MOLLOY: And I realize that we will have some
5 further discussion of the monitoring later on. But
6 specifically, do you know how far on the air side it would --
7 you estimate it would be before the TCDD would be
8 undetectable using your calculations, say, the worst case
9 or an average case?

10 DR. WELCH: Offhand I don't have that number.
11 We can calculate it and provide it to you in a few minutes.

12 MR. MOLLOY: OK. And, finally, at the end of your
13 presentation you discussed the analysis that would be done
14 on Johnston Island and then additional analysis that would be
15 done in Ohio.

16 And, if I heard you correctly, we were talking
17 about 72 hours to get the samples to Ohio and 48 hours, is
18 that correct, to make the analysis in Ohio?

19 My question is why does the Air Force propose that
20 we begin loading the vessel during that five-day period?

21 Well, I think for several reasons. I should have
22 indicated and did not that obviously by the time that the
23 vessel gets back to Johnston Island we will have a pretty
24 good idea of what the onboard the ship instrumentation is
25 indicating. And then what we are doing is tying down initial,

1 or more definitive, information about looking for 2,4-D and
2 2,4,5-T and TCDD specifically in the stack effluents.

3 Making the assumption that the onboard data
4 indicates a high degree of efficiency, 99.9 or higher
5 percent efficiency in terms of the burn, we feel that that
6 would indicate very strong likelihood that the D, T, and
7 Dioxin data would also be in the same bank. And due to the
8 fact that it costs money for the vessel to sit, we feel that
9 loading could be initiated and then if the results do not
10 confirm the D, T and TCDD destruction in the same manner as
11 the onboard instrumentation did, you could dilute the
12 material with diesel fuel, for example, change the burning
13 properties and improve the efficiency of the burn. Make
14 other modifications in terms of the rate of the burning
15 or such things as that in a second research effort, if that
16 was necessary.

17 MR. MOLLOY: Do you have an approximate cost of
18 what it would cost the government to have the vessel sit
19 there unloaded?

20 DR. WELCH: I would prefer to furnish that
21 to you independently inasmuch as the owners of the vessel
22 and representatives of the vessel are in the room and
23 negotiations are scheduled for next week.

24 MR. MOLLOY: Thank you.
25

1 MR. BIGLANE: Dr. Welch, have you advised the views
2 of the appropriate state agencies and in particular the
3 state of Mississippi on your off-loading plan or your
4 loading plans in Gulfport?

5 DR. WELCH: Mr. Biglane, we have initiated a fairly,
6 I would say, very close relationship with the state of
7 Mississippi, their air and water pollution control
8 commission and are in the process of working these plans in
9 concert with them.

10 Due to the fact that some of the plans have only
11 just been finalized, they have not seen the final version at
12 this point in time. As they went through the stages, however,
13 we have been in contact with them on the development of the
14 plans and certainly it is our intent that they be worked
15 very closely with those people.

16 MR. BIGLANE: Thank you, Doctor.

17 HEARING OFFICER MALLOY: Thank you, Dr. Welch.

18 I am now going to call on Lisa Friedman, an
19 attorney with the Office of General Counsel and EPA
20 Headquarters.

21 MS. FRIEDMAN: I would like to explain for the
22 record the difference between professional ocean dumping
23 and incineration permit and research ocean dumping and
24 incineration dumping permits.

25 EPA regulations permit the issuance of research

op2 1 permit ocean dumping or incineration at sea for a period of
2 up to 18 months for any material except certain materials
3 specified with EPA regulation where the disposal is part of a
4 research project and where a scientific merit of the project
5 outweighs any potential environmental damage resulting from
6 the disposal.

7 Organohalogen compound may be disposed of in
8 connection with the research permit if they are rapidly
9 rendered harmless by physical chemical or biological
10 processes in the sea provided that they will not make
11 edible marine organisms unpalatable and will not endanger
12 human health or that of domestic animals.

13 Special ocean dumping permit may be issued for a
14 period of up to three years and only for materials which
15 satisfy EPA ocean dumping criteria. A special permit for
16 incineration at sea may be issued only where studies have
17 been conducted on the weight, the incineration method, the
18 vessel and the site and the site has been designated as a
19 site for incineration at sea in accordance with EPA
20 site designation regulations.

21 HEARING OFFICER MOLLOY: Thank you.

22 The next speaker is Mr. Birch J. Matthews who is the
23 Project manager of the Hazardous Waste Incineration Project,
24 TRW Company. He is a consultant to the Environmental
25 Protection Agency.

op3 1 MR. MATTHEWS: Thank you.

2 I am not sure that this mike is on. Is it?

3 HEARING OFFICER MOLLOY: Yes.

4 MR. MATTHEWS: My name is Birch Matthews. I am
5 with TRW Incorporated in Redondo Beach, California. I am
6 and have been the project manager for a series of commercial
7 incineration programs under the sponsorship of EPA.

8 And, Mr. Chairman, as an attachment to the record,
9 I would like to submit an interim report on a recent ocean
10 incineration of an organochlorine waste onboard the
11 M/V Vulcanus. In this context, I propose to orally
12 summarize the results today of information and data
13 gathered during this incineration test.

14 A research burn of 4100 metric tons of
15 chlorinated hydrocarbon chemical waste was conducted onboard
16 the incinerator ship M/T Vulcanus during the period of 5
17 March through 13 March of 1977. During this period, a total
18 of 186 hours of continuous burn time was recorded. The burn
19 took place in a designated area in the Gulf of Mexico under
20 the provisions of permit number 750D008E dated 15 October
21 1976 and issued by the United States Environmental Protection
22 Agency.

23 The waste burned was acquired from the Shell
24 Chemical Company's Deer Park, Texas, plant and through
25 analysis was found to have the following elemental chemical

1 composition: at about 30 percent carbon; four percent
2 hydrogen -- I am rounding these numbers off, incidentally --
3 nitrogen content was 0.012 percent; the sulfur was
4 extremely low, it was 0.009 percent and the chlorine content
5 was 52.6 percent.

6 Organic compound identification of the waste
7 was accomplished using gas chromatograph/mass spectroscopy
8 analytical methods and it revealed the following: more than
9 80 percent of the waste was composed of mixed mono-, di-,
10 and tri- chloropropanes, chloropropenes and chloroethanes.

11 In addition, there was about two percent
12 tetrachlorobutene and approximately three percent
13 chlorobenzene. The remaining constituents were numerous
14 and all were present at levels of less than one percent.
15 The ash content of this waste was measured to be
16 approximately 0.02 percent. The gross heating value was
17 about 6900 btu per pound.

18 During the waste incineration process, the starboard
19 incinerator on the Vulcanus was sampled using a traversing
20 15 foot water-cooled probe aspirating incinerator effluent
21 gas through a sampling train consisting of a glass filter
22 for particulate; a resin sorbent trap for organics and a
23 series of impingers for inorganics.

24 And I would like to interject here that the
25 diameter of the stack on the Vulcanus at the point where we

cp5 1 sampled was approximately 11 feet and, therefore, we could
2 traverse across the diameter of that stack with our
3 18 foot probe.

4 Our sampling rates were typically about three
5 cubic feet per minute for durations of two to two and a half
6 hours each. In addition, the sampling system was used to
7 acquire grab samples in Tedlar Bags to trap low molecular
8 weight gas species.

9 A total of three such sampling runs were conducted
10 during the waste incineration burn. In addition, a fourth
11 run was made while the incinerator was operating on fuel oil
12 which was done for the purposes of comparing the effluent
13 of the fuel oil burn to the effluent species from the
14 waste burn.

15 These samples are now being prepared by TRW for
16 analysis. We expect the preliminary results to be available
17 on or about 13 April 1977.

18 In addition, during seven different time periods,
19 three of which were concurrent with the aforementioned sampling
20 runs, on-line analyzers were used to monitor the incinerator
21 combustion process. These data, together with temperature
22 data and waste feed rates provided by the ship's personnel,
23 facilitated on-board performance evaluation of the
24 incinerator.

25 In addition to incinerator wall thermocouple

ep5 1 temperature measurements and flame temperature determinations
2 using an optical pyrometer, on-line analyzers were used to
3 monitor: total hydrocarbons, carbon monoxide, carbon
4 dioxide, nitrogen oxide, and oxygen concentrations at the
5 stack ends.

6 For the total waste burn, the average hydrocarbon
7 emissions ranged from 7 to 55 parts per million. Nitrogen
8 oxide emissions ranged from 75 to 134 parts per million.
9 The oxygen concentrations averaged from a minimum of 5.9
10 percent to a maximum of 11.7 percent. Carbon monoxide
11 values averaged between 17 parts per million and 40 parts
12 per million. The percent of CO₂ varied from 8.8 percent to
13 11.7 percent.

14 All right. Now, based upon the CO and CO₂
15 measurements, the combustion efficiency throughout the
16 monitoring process averaged 99.97 percent. The minimum
17 combustion efficiency calculated was 99.92 percent.

18 Temperature measurements using an optical
19 pyrometer indicated flame temperatures ranged from
20 1390 degrees centigrade to 1710 degrees centigrade. Flame
21 temperature measurement correlations were made with
22 periodic 24-hour per day wall temperature measurements which
23 indicated by this correlation that the flame temperature
24 was always in excess of 1200 degrees centigrade.

25 Using a range of furnace gas temperatures

cp7
1 from 1200 degrees centigrade to 1700 degrees centigrade,
2 we calculated gas residence times to be a maximum of about
3 0.9 seconds at 1200 degrees centigrade and a minimum of
4 approximately 0.7 seconds at 1700 degrees centigrade, based
5 upon the calculated total stack gas emission rate.

6 In addition to the quantitative data that we have
7 available at this moment, we also made qualitative
8 observations. With regard to the plume characteristics, the
9 following is a brief resume of observations made during the
10 entire research burn duration.

11 The incinerator plume from the Vulcanus was
12 typical of the combustion of an organochloride. Under
13 conditions of high humidity and a fairly strong breeze --
14 by that I mean greater than six meters per second -- the
15 plume was observed to touch down 100 to 200 meters downwind
16 of the ship. Now, this behavior was observed to be general
17 over a range of 999 to 1009 millibars with relative humidities
18 in the 75 to 96 percent range and the wind velocity of
19 five to 17 meters per second.

20 When the wind velocity decreased below five meters
21 per second and the relative humidity fell below 75 to 80
22 percent, the plume became diffuse, stayed aloft, and often
23 became invisible. At this time the addition of ammonia gas
24 through a standpipe located between the incinerator stacks and
25 at the plane of the stacks produced a visible plume of

cp8 1 ammonia chloride. The plume could have been traced when
2 conditions prevented droplet condensation involving HCl gas.

3 At times of low humidity and high, parenthetically,
4 greater than five meters per second wind velocity,
5 addition of ammonia gas to the effluent gases from the
6 stack made the plume visible and showed the now to be
7 expected fumigation or touch down on the water surface.

8 Conversely, when the humidity was high -- in other
9 words, above 75 to 80 percent -- and the wind velocity was
10 low, the plume was voluminous, white and dense and remained
11 aloft. Under these conditions, now, touch down on the
12 water surface was not observed for an estimated five to ten
13 miles

14 Some combinations of wind velocity, wind direction
15 and ship attitude result in contact of the plume with the
16 decks of the ship. Even when the plume was not evident,
17 it was occasionally possible to detect the presence of
18 hydrogen chloride or HCl using Drager tube analysis.

19 By experimentation, however, it was determined that
20 matching the ship's speed to a vectored velocity of the
21 wind in the ship's direction produced a plume which
22 remained aloft and which resulted in HCl values on the
23 ship of zero.

24 At all times, the plume was observed to be free of
25 any noticeable black or sooty particulate. Similarly,

cp9 1 erosions of flames beyond the inclinometer were never
2 observed.

3 With regard to the burner operation, the typical
4 flame produced by the burners was bright, intense, white
5 in color, free of dark areas and free of sputtering. In
6 other words, it appeared to be stable. A periodic
7 inspection of all burners was maintained by ship personnel.
8 Burners were cleaned periodically, and they generally
9 yielded a black coke or tar as obtained from the nozzle
10 of the burner.

11 The sample of this material was given to TRW
12 for subsequent analysis. This analysis is as yet incomplete.

13 In the area of safety procedures, it was noted that
14 the Vulcanus has written safety procedures which were
15 documented. Insofar as observed, these procedures were
16 followed throughout the incineration process. Of particular
17 interest was an emergency waste feed shutoff system.

18 This apparatus automatically actuates the closure
19 of valves feeding waste to the incinerator burners. The
20 shutoff system utilizing an incinerator wall thermocouple
21 sensor was demonstrated to work during shutdown portions
22 of the waste incineration cycle, and found to be satisfactory.
23 The incinerator wall thermocouple sensing device was set
24 to preclude operation as a correlated flame temperature of
25 less than 1200 degrees centigrade. By this, I mean the

up10 1 correlation between the wall temperature measurements and the
2 optical pyrometer readings.

3 The ocean environment in the designated incineration
4 area in the Gulf was examined by scientists of the Tereco
5 Corporation at College Station, Texas, 7 and 8 March, 1977.
6 The results of this investigation will be reported
7 separately by Tereco Corporation to the Environmental
8 Protection Agency.

9 All right. What conclusions can I draw from the
10 results that we have to date?

11 Pending final chemical analysis and evaluation of
12 the effluent grab samples, the following interim conclusions
13 are presented based upon quantitative on-line analyzer
14 data and temperature data, as well as qualitative
15 observations noted during the research burn: one,
16 calculated combustion efficiencies were all in excess of
17 99.9 percent during the research burn.

18 Two, Observed flame temperatures were always in
19 excess of 1300 degrees centigrade. The on-line analyzer
20 data indicated that oxygen concentrations were consistently
21 equal to or greater than four percent.

22 Oxides of nitrogen emissions averaged 88 parts
23 per million which is consistent with conventional emission
24 levels for low nitrogen content fuels, which this was.

25 The plume characteristics were satisfactory

cp11 1 in that ship and wind velocity magnitudes and vectors could
2 be established whereby fumigation of the ship could be
3 verified and plume touch down on the water surface
4 was observed between a few hundred meters and several miles
5 off of the vessel.

6 Inclinometer operation appeared normal and no
7 emergency or malfunction conditions occurred. The emergency
8 waste shut-off system was demonstrated to function
9 properly. The safety procedures were established and
10 were observed to be implemented.

11 The TRW sampling and monitoring system functioned as
12 designed.

13 Thank you.

14 HEARING OFFICER MOLLOY: I have got a question or
15 two.

16 Do you feel that of all of the constituents in the
17 research burn were destroyed at roughly the same efficiency?

18 MR. MATTHEWS: Which efficiency are you talking
19 about? I want to distinguish between combustion efficiency and
20 what I would term a destruction efficiency of the organic
21 constituents in the waste.

22 HEARING OFFICER MOLLOY: Well, let's say the
23 destruction efficiency.

24 MR. MATTHEWS: I can't quote you destruction
25 efficiency at this point in time because the analysis for any

opl:2 1 residual organics is in process at TRW.

2 I would make the observation that with the type of
3 combustion efficiencies we calculated from the on-line
4 analyzer data, I would expect excellent destruction
5 efficiency.

6 HEARING OFFICER MOLLOY: DO you have any reason to
7 believe that herbicide orange would not behave in the same
8 way if it was burned in the Vulcanus?

9 MR. MATTHEWS: The conditions we observed and
10 monitored on the Vulcanus exist at that time, I think the
11 herbicide orange, which is of a higher btu value than this
12 waste, will be effectively destroyed.

13 HEARING OFFICER MOLLOY: Thank you. We will take a
14 ten minute break and be back at a quarter after eleven.

end 3 15 (Recess)

16

17

18

19

20

21

22

23

24

25

js19 1

ape 37 4 2

HEARING OFFICER MOLLOY: We are going to start again.

We have been asked to enforce the "no smoking" rules in here. And as one of the great offenders, I guess we will be required to do so. So Mr. Biglani and I have agreed to stop smoking and everyone else is going to be required to stop smoking.

The next speaker is Dr. Willis E. Pequegnat, President of TerEco Corporation, College Station, Texas.

Doctor, if you will use the lectern.

DR. PEQUEGNAT: Thank you, Mr. Molloy.

I have a presentation which involves some stills which you probably can't see but hopefully. When I learned that a professionally taken film would not be available for presentation today, I did bring one of our little -- I should say very unprofessional Super 8 millimeter films to show you a little bit of what the devices I am going to describe look like in the Gulf of Mexico about three weeks ago so as to give you some idea of what we are talking about.

Sometime ago when Shell Chemical Corporation did its first burn through the Vulcanus of certain kinds of organochlorine waste in the Gulf of Mexico, TerEco was called upon to do a rather simplified look at certain changes in the upper levels of the seawater system.

And later through the Environmental Protection

js20 1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Agency's Oil and Hazardous Materials Control Division and through that the Marine Protection Branch of EPA, we did a somewhat more thorough look at certain changes that might occur in the upper levels of the water.

During these tests we realized that what we were really missing in all of this was a look at chronicity or chronic effects, those that might take some time to develop. And also there was the problem of how if you see a patch of water exposed to some kind of air material, air-carried material which is settling up, how do you know a few days later or even a few hours later that you are dealing with essentially the same water organism mass that you were dealing with before?

Well, there are various ways you could obviously tag this. But there are things that we needed to do. We wanted to put certain kinds of experimental animals into these. We wanted to deal with certain kinds of organism, and where we had some standard laboratory referral, as well hopefully as dealing with species there at the scene which we generally call indigenous species for the lack of a better term.

But, anyway, through them, the sponsorship of EPA and the division and branch that I have just mentioned, we have been developing such a procedure. And in this we have come up with devices which we call biotal ocean monitors, which

js21 1 are essentially very large nylon, monofilament mesh
2 containers which are of more than one size.

3 We are dealing particularly today with a 21-foot
4 diameter devices that are about 50 feet in depth or length
5 which will enclose, say, roughly 100,000 gallons of water,
6 although they are not enclosing it in the usual sense. They
7 are letting the water move as it will but the organisms stay
8 behind.

9 We have mesh sizes that differ depending on what
10 we wish to monitor. We have a way of hanging within these
11 larger ones a smaller unit which contain then organisms from
12 the size of phytoplanktons a few microns, say, 30 to 120
13 microns in diameter up to -- and sea urchin embryos, which
14 we have used, on up to organisms that are of fish size.

15 Now I would like to just have you see these
16 bio-ocean monitors, and we might just pass these around
17 right at the moment for the panel to take a look at. And
18 then I would say that if that little film works, we will
19 have that and it will give some of you the ideas.

20 OK. During this present unit burn of the
21 organochlorine waste from Shell, which were burned by the
22 M/V Vulcanus, TerEco had an independent vessel which launched
23 these biotal ocean monitors --it is not a simple job,
24 really, but not terribly difficult either -- on the 7th and
25 8th of March. And we retrieved them on the 14th of March.

js22 1 And then the organisms were either processed aboard the ship
2 that we were using, which was a Statewave 125-foot flat-
3 bottom vessel which acted like a cork compared to the sedate
4 and serene operating Vulcanus which acted like a cement
5 platform. Two of my people went aboard the Vulcanus and
6 were overwhelmed with the stability of that platform,
7 whereas this round-bottomed state vessel that we had was
8 really giving most of them a little mild seas (ph.).

9 The organisms that we used in these biotal ocean
10 monitors during this particular test were *Mytilus edulis*,
11 which is a phytoplankton mussel, class, bivalve -- whatever
12 you wish to call it -- which was used primarily because it
13 is a bissus (ph.) thread producer. Of course they are very
14 good eating as you perhaps know. We did not use them for
15 that purpose. But at any rate they produced bissus threads
16 through what is known as the bissal (ph.) gland or the
17 pital (ph.) gland.

18 Now this gland formation, disogenesis (ph.), if
19 you wish, these are very high protein structures, is very
20 sensitive to certain kinds of organochlorine waste.

21 Secondly, we used *Strongylocentrotus*, one of the
22 sea urchins. And there we used the freshly fertilized eggs
23 embryos for detection of any kind of calcium precipitation,
24 since these are sea urchins and do have calcified skeletons
25 which appears rather early as rods in the development of these

1973 1 things. We also used a native phytoplankton, Skeletonema
2 Coastatum -- the spelling will be supplied later. And we
3 also used two species of a well-known fish, where I think you
4 do have to have laboratory reference -- Fundulus similis
5 and Fundulus grandis.

6 These then were subjected to certain kinds of tests;
7 some aboard the vessel, others in the laboratory. And the
8 tests are not completed entirely yet.

9 Now the kinds of things we were doing was not
10 to demonstrate acute problems, remember, but chronic problems.
11 And we cannot wait in the interest of economics we cannot
12 wait two to three weeks perhaps in all instances to watch
13 the development of these.

14 So our hope, and we are developing a protocol, it
15 is not yet complete, that we could get indications of
16 potential changes which if not reversed could result in
17 rather severe difficulty for marine organisms in the exposure
18 zone which might be the upper meter or two of the water.

19 Who knows?

20 I am not sure of how the mixing would go in this
21 scene.

22 We then have done the following: We have looked
23 at three enzymes; catalase (ph.), ATPase and cytochrome P-450,
24 in which the first two we would expect a reduction and in the
25 third we would expect an increase if we were going to have

js24 1 untoward effects.

2 We have also looked at the organism, particularly
3 the mussel and the fish from a standpoint of rather total
4 histopathological indications and are in process of looking
5 at whole tissue histochemical changes. These are not yet
6 done. However, we do have some results which I will quote on
7 in a moment.

8 We have done this in the mussel. We have looked
9 at the gill, or tetatem (ph.); we have looked at the bissal
10 bland -- b-y-s-s-a-l -- and the digestive gland.

11 In the fish we have looked at liver, stomach,
12 kidney, gonad and gill. And we have done routine sectioning.
13 We have done light microscopy; we are in the process of
14 doing electron microscopy, both transmission and scanning.
15 But these, the results are not yet complete.

16 Now in addition to these, we have looked at some
17 metal indications. We have analyzed the mussel and the fish
18 for chromium, lead, cadmium, iron and zinc. We have also --
19 and this, I may say, I will give you some results in a
20 moment -- this we have done by flame technique only, and
21 we will have to use flameless for the lead and chromium,
22 coming up shortly.

23 Now in addition to this, we did through the
24 standard gas chromatography -- well, not quite standard but
25 gas chromatogr aphy, we have done a look at organisms from

js25 1 the standpoint of incorporation of any residual waste
2 material into the tissues of fish and mussel.

3 So these things, then, have been done.

4 As far as the phytoplankton is concerned, the
5 *Skeltonema costatum*, what we have done there we removed
6 aliquot samples from the biotal ocean monitors on successive
7 periods. And took then samples from these; put them into
8 standard culture medium; illuminated them for four hours;
9 and then preserved them. And we are making counts to
10 determine whether or not there is a fallout or fall off in
11 the rate of division of these organisms. And these counts
12 take quite a lot of time.

13 Again, it takes time to pull this all together.

14 But some things were done very rapidly and other things take
15 more time, so we don't have the absolute, definitive results
16 on this kind of thing absolutely completed.

17 Now what we did find are these things. In looking
18 at the organism, the fish, for example, the gas chromatography,
19 we found we had -- we used exposed amounts of material to
20 give some kind of background and got what you might call a
21 fingerprint label on the waste material itself in the
22 laboratory. And then we exposed fish to rather small
23 concentrations of material -- rather large, really -- and
24 obtained a fingerprint against the pure waste, that which was
25 incorporated within the fish tissues. And then we used these

js26 1 as background against which to compare with both control and
2 exposed fishes that were brought in from the field.

3 Now in the field we used two units of BOM --
4 "bombs" if you will -- one into which we put organisms that
5 will be exposed to the plume from the Vulcanus, the plume
6 fallout. And, two, a control BOM where the organisms which
7 are compatible, a unit litter mate, you might say, are not
8 exposed to the plume product.

9 And so we would talk about exposed versus controlled
10 in each of these categories.

11 Now these results I emphasize again are preliminary.
12 They are not yet subject to what you might call rigorous
13 interpretation.

14 In the fish, thus far, all tissues were normal
15 except in the kidney where sections were found with some
16 glomerular (ph.) shrinkage. Now there was shrinkage. The
17 volms (ph.) capsule was expanded. There was base affilia (ph.)
18 intrusion. This is subject to interpretation, but this is the
19 only thing.

20 The other tissues were found to be relatively
21 normal. There are in all of these things parasitic things
22 but not in the kidney situation. But compared to the control
23 we are not talking about now and not/other ^{any} aberrancy.

24 In terms of the mussel, the byssal gland has not
25 been thoroughly sectioned and studied as yet. But in this

js27 1 the byssal threads were easily disengaged from the gland in
2 the exposed whereas they were not so, because they are a
3 holding device, in the exposed mussels. Also the gills were
4 in the exposed very bright in color, bright orange or deep
5 brown, as compared to the normal light tan in the controls.

6 Now we must realize that we have correlations but
7 we don't have conclusions that can be based on correlations.
8 We have to have -- know causation is going to be related to
9 this kind of thing, so we have to have some kind of further
10 laboratory check on these things.

11 The metal results indicate, with the exception of
12 chromium and lead where we can't give you any result at all,
13 indicate the cadmium and zinc, the differential between the
14 control and the exposed is insignificant in the iron and this
15 is enigmatic. There was a major increase in the iron in the
16 exposed organisms, for what reason we do not know.

17 As far as the enzymes are concerned, in the
18 catalaids, no difference between the controls and the exposed.
19 As far as ATPAs which might be responsive to biphenol change,
20 the first metal, no significant difference. But in the
21 cytochrome P-450 there was a threefold increase in this
22 enzyme. And at this time it would be premature to draw any
23 kind of conclusion from this. The reason being that there
24 could be, perhaps, some extenuating circumstances of which we
25 are at this moment unaware, until we have time to do a little

js28 1 more lab work on this particular control versus exposed
2 material.

3 In the gas chromatograph results, the results were
4 low. Down to no significant change, but down to the
5 resolution level at which is roughly in parts per billion.
6 And so we feel that we have to have a calibration marker
7 which we did not have available. We have got to have
8 either 1,2,3-trichloropropane or another pure material that
9 we can calibrate against, which was obtainable from one
10 source and we were unable to get it in the time that it was
11 available between returning on the 15th of March to the
12 laboratory and preparation for this present hearing.

13 Now I would like to show you, if we may, I have a
14 little film here. I have not seen this. I know what is on
15 it, hopefully, and I am not sure where it will start. But
16 it should show -- it might even show the Vulcanus burning,
17 I think possibly. If you have never seen that, it is rather
18 dramatic at night. Remember this is Super 8, it is not
19 professionally done and the sea states were calm during one
20 minor stage in this burn period and then they were a little
21 bit rough during the rest.

22 There is a biotal ocean monitor during the calm
23 period -- relatively calm period. You will see the antenna
24 flag. We have a radio beacon on it and we have a strobe.
25 You can see the net going down into the water relatively

1 clear. And by the way, we hope to use indigenous species,
2 and this is a good burn site from that point of view, because
3 we did not get indigenous species of significance.

4 But you can see there the bag going down into the
5 water from the flotation device. As you can see others
6 hanging inside of the unit.

7 This is very calm for this time of year in the
8 Gulf, and it was a window of calmness that didn't last too
9 long. It was not possible to do too much work on our vessel
10 during the high storm period, so you will only see a somewhat
11 rougher period than this during the burn.

12 There is the flame shooting out of Vulcanus, if
13 you can see that. If you look below that to the right, you
14 might see our strobe flash every once in a while. Now that
15 is not very dramatic. My wife couldn't move this thing,
16 but you can see the light of the Vulcanus and you can see
17 the flame coming out of one of the incinerator stacks.

18 I guess you can see both of them but it is not
19 too clear.

20 Now this won't last long, but you can see
21 one; it is not absolutely calm at this period. I don't know
22 that I saw the strobe flash. There we see -- you see a
23 four footer over there just beyond these. These are free
24 floating. Remember this is very deep water out here. And
25 we are sub-sampling out of them with a Thoidiadd (ph.) and

js30 1 we have to maintain as little stress as possible so we do
2 feed these organisms at our laboratory. We do not leave
3 them to the mercy of finding food for themselves within
4 that enclosure, although the mesh will permit phytoplanktons
5 in particular and detrital (ph.) material to move into the
6 mesh.

7 These, interestingly enough, although the wind
8 was from the southeast these were drifting east-southeast.
9 They are one of the best current monitors that we've got.

10 There we are getting a little rougher water now.
11 You see they ride quite well, actually. It is getting a
12 little rougher. I am sorry we didn't get pictures during
13 the roughest period but it would be a little bit shocking
14 to you, although nothing like we experienced in the Gulf
15 of Alaska with 50- or 60-foot waves there. But these are
16 only 8 to perhaps 10 1/2 feet.

17 But a storm -- not a storm -- well, a windstorm
18 is building up at this time.

19 We can trace these things for about 27 miles when
20 the radio beacon is working well. And they are going with
21 the water. This is the whole idea, that these units will
22 encase the organisms, go with the water, and, presumably,
23 they will expose the organisms to what would happen to the
24 organisms if there are any of significance in the site where
25 the plume is falling.

Thank you, Mr. Chairman.

up 3
cpl

1 HEARING OFFICER MOLLOY: Thank you, Doctor. I
2 have a few questions. When will all your tests be
3 completed and these final conclusions, these
4 tentative conclusions, anyway, be available?

5 DR. PEQUEGNAT: Today is the seventh of April. I
6 would assume -- I was basing an original estimate to
7 Mr. Wassler, who is the project officer, that we would have a
8 lot of this in ten days, which we did. But I will say it will
9 take two more weeks before the electron microscope can be
10 done on those tissues that look suspect.

11 Now, I may point out that the mussel clam, as pointed
12 out by personnel in EPA as being perhaps a very good
13 organism for sensitivity tests and that is why we are using
14 that and that is what I want to see on the scanning
15 electron microscope. I would say within two weeks or less.

16 HEARING OFFICER MOLLOY: And would that be your
17 conclusions also, or just the tests?

18 DR. PEQUEGNAT: No. I would think that we would
19 derive those within a short period since we know that what
20 we are looking for, either degenerative change or not.

21 HEARING OFFICER MOLLOY: Although you were looking
22 for chronic changes, did you notice any acute effects?

23 DR. PEQUEGNAT: I would like to phrase it this
24 way: what we saw -- and I failed to mention and I am glad
25 that you asked the question because it gives a little more

cp2 1 complete picture -- what we have seen thus far, particularly
2 in the enzyme work, I ought to describe that a little more.

3 When fish were taken from the control and exposed --
4 and that was the exposed biotal ocean monitor you saw there --
5 when they were taken from those, they were immediately
6 sectioned, dissected and the livers removed and frozen. Those
7 livers are the ones that gave the high values.

8 We then brought exposed fish live back to the
9 laboratory and maintained them in their original aquarium
10 and we sampled those on pursuant day intervals. And we found
11 cytochrome P450 levels return to baseline within the fifth
12 day.

13 One might call that an acute effect because it
14 apparently occurred rather rapidly, but it was a
15 reversible acute effect and not one that -- we don't know
16 whether if you left them out for another week or two weeks
17 that they would have suffered irreparable damage,
18 irreversable damage.

19 HEARING OFFICER MOLLOY: Were there any other
20 of these effects that appeared to you to be irreversable?

21 DR. PEQUEGNAT: That is being looked at now.
22 We took some time to prepare these samples for the
23 histochemical and histological, histopathological analysis
24 and these are being done by specialists, I may say. AND,
25 as a matter of fact, the panel analyses were done

cp3 1 by Dr. S.J. Presley, who works with us and the
2 sargassochlorinae by Dr. C.S. Glam, who is an authority on these
3 techniques.

4 I think that we have found nothing there that we
5 can say is not reversible because after the initial were
6 found, we have then taken mussels and fish from the
7 laboratory and prepared the sections, but they have not
8 been studied, so I don't have that definitive information.
9 It will be forthcoming shortly, though.

10 HEARING OFFICER MOLLOY: On the question of
11 indigenous species, I am a little bit confused there.

12 When you had the movie on, did you say that the
13 species that you had in the BOM were indigenous to the
14 area?

15 DR. PEQUEGNAT: No. I would make that clear. No.
16 They are not, except for *skeletonema costatum* which can be
17 found rather widely in the marine environment which is in
18 culture in our laboratory. We hoped to get perhaps a
19 sargassum community organisms where we might take a
20 dihapid crustacean, perhaps a fish, perhaps one of the crabs
21 that is known to be there and use those as our indigenous
22 form, but we did not see any sargassum community either in the
23 trip out or while there.

24 And more than that, the coast guard plane with
25 EPA personnel onboard who flew over for half an hour or

cp4

1 more and took pictures of our activities and so on and then
2 of the Vulcannus, had aboard Dr. Robert Hickory from Region Two,
3 Dalis, who is a biologist and he, too, was looking for it
4 and reports that even from his air scene he didn't see it.

5 There was some rather sparse zooplanktons and then a
6 fish through the group, but it was so rough there was no
7 chance at night of using attractance to get them and so this
8 was not possible.

9 But this is known as a rather sparse fauna area.

10 HEARING OFFICER MOLLOY: Would you say that the
11 conclusions you draw then would have to be modified to some
12 extent by the fact that you couldn't use entirely
13 indigenous species?

14 DR. PEQUEGNAT: No, I would think not. As a
15 matter of fact, I am troubled by this kind of thing for a
16 long time. They might have to be modified, but I think that
17 it is absolutely necessary when one is attempting to do
18 studies of this type that he have reference which are
19 standardized.

20 For example, if we were to take some of the
21 fishes that might be captured there and brought them into the
22 laboratory to look at them at all in any kind of test or put
23 them into these things, they are so ill-suited for
24 confinement that the tests would be, I think, under
25 considerable doubt because of the great physiological stress

cp5 1 placed on these things through this confinement.

2 So I feel that as we go on -- and that is the
3 reason I expanded the types of organisms that we used --
4 as we go on, we must not completely abandon organisms
5 that are adapted to the laboratory confinement and thus
6 are at ease, so to speak, during the time of testing.

7 So, if one were to obtain mullet, for example, or
8 go further anchoba in the area or any number of flying
9 fish which do exist perhaps in the area, it would be, I think,
10 not a good test because they are not acclimated to the one
11 thing that they have to do and that is stay in confinement
12 in order to be exposed properly.

13 HEARING OFFICER MOLLOY: You indicated that you
14 had used these monitors in the Gulf of Alaska, is that
15 right?

16 DR. PEQUEGNAT: No, I have not. I said I have been
17 in the Gulf of Alaska and experienced waves. But the
18 monitors have only been used in the Gulf of Mexico.

19 HEARING OFFICER MOLLOY: And could you --

20 DR. PEQUEGNAT: This program is rather, too.

21 HEARING OFFICER MOLLOY: Could you outline -- I
22 admit this is sort of off the cuff -- the problems that you
23 might see in doing the same type of program, say, in the
24 Pacific?

25 DR. PEQUEGNAT: Well, it would depend on the mode of

op6 1 transport available. If air transport, the trip is eight
2 hours from Dallas, Texas to Honolulu, which is not a
3 significant period of time from the standpoint of maintaining
4 organisms because the drive from College Station to our
5 embarkation point in the Gulf of Mexico takes almost four
6 hours with a truck or better.

7 So, air transport is not serious. The other thing
8 that would be important to have, of course, and thus might
9 be a problem if it cannot be arranged would be to have a
10 certain laboratory facility available to do some of these
11 things while near the area, either in Honolulu or on the
12 Island or something of that sort.

13 These are the things that I foresee. Now, we have
14 made some study of the Johnston Island area in the past and,
15 of course, the Air Force has a rather comprehensive
16 environmental statement on this. We are not sure, however,
17 of the density of organisms that might be available from the
18 standpoint of effective, appropriate, indigenous forms, if any
19 there.

20 So that might be a problem, if this is problematic,
21 but we could certainly take these organisms and others, even
22 perhaps from the Honolulu area to such a sea. But there would
23 be these kinds of problems.

24 HEARING OFFICER MOLLOY: And can you foresee any
25 great time constraint?

DR. PEQUEGNAT: As to which part? These constraints

HEARING OFFICER MOLLAY: On getting the animals and plants together perhaps and getting the equipment to the Pacific?

DR. PEQUEGNAT: No, Mr. Chairman. This perhaps is no more a serious problem than preparing it for transport on the truck. I wish that they had included in the film the staging that goes on in trying to get these organisms. See, we have to take hundreds of fish in the back of our laboratory building area and you arise at four o'clock in the morning and get everything ready to go and you have got to get it down there about the time the ship leaves.

But, in other words, it is no more difficult to stage it for that kind of thing, I suppose, than it would be to go aboard ship. People have always asked -- may I say, and maybe this is a little off the point, but it really gets at it, people say is there a Department of Oceanography where we live in College Station, 150 miles from the ocean? How can that be? At Texas A&M they have a department of oceanography. We say, you know, if you are five miles from the source of your equipment and your organisms and you have got to load a truck in order to get it there, it doesn't make that much difference.

-cp8 1 HEARING OFFICER MOLLOY: Thank you. Do you have
2 any questions?

3 MR. BIGLANE: Dr. Pequegnat, I would like your
4 characterization of this technology. You have worked in
5 this area now for just a short time. But as a biologist, I
6 am excited over measuring insults in the marine environment
7 by use of more than just what some have characterized
8 "pickle jar" methods, that is, enclosing an organism in a
9 container and adding some kind of pollutant and in 24, 48,
10 96 hour period attempt to define for humanity just how
11 potent that material might be or could be.

12 I would like your characterization of this type of
13 technology. Have we advanced in a measurement tool at all
14 with this kind of development?

15 DR. PEQUEGNAT: Mr. Biglane, I believe that we have,
16 we hope we have. We have been working with, although
17 rather very informally and periodically with personnel in
18 EPA in terms of organisms that are effective organisms to
19 demonstrate what we want.

20 Gulf Breeze Laboratory, Dr. Delrume, in particular,
21 has been raising an organism known as mysidopsis bahia which
22 is a small crustacean, shrimp-like crustacean. These, I think,
23 are going to make very excellent monitoring organisms.

24 We now have them cultured in our laboratory and
25 are learning much of their habits and how we can feed them

sp9 1 and maintain them and we find that what we hope to use here
2 is a very interesting test known generally as
3 dimethylate charge system which has been used in
4 microbiology, but not in metazoan organisms. And we need
5 now to -- since this has been a rather short period we
6 really have been into this program -- we need now to bring
7 up the laboratory examination of these things to a point
8 where we have got a field calibration for the results.

9 So, I would say that we are making pretty
10 definite advanced strides and I know that EPA is, as well.
11 We are the only ones that have the biotal ocean monitor in
12 this program that you people have aided us in developing and,
13 yet, we hope that others will be able to make use of them
14 as time goes on.

15 We have also developed one now which is only the
16 prototype model for a bathiclock and that will be examined
17 by you people before long and, hopefully, we will be given a
18 green light to go ahead with that.

19 So the state of the art is improving and I think
20 we are out there somewhere on the forefront.

21 DR. VENEZIA: I have a couple of questions for you,
22 also.

23 How long was the plume from the Vulcanus in contact
24 with the monitor?

25 DR. PEQUEGNAP: I am not certain of my ground in

cp10 1 tons of the levels. Perhaps Mr. Matthews can give us an
2 input on this. I think that the human nose can detect
3 nitrogen chloride at about six parts per million; is that
4 about right?

5 MR. MATTHEWS: Interesting question because we have
6 had arguments about whether you could smell it or sense it.
7 I think that you are approximately correct.

8 DR. PEQUEGNAT: Okay. Well, although our
9 personnel were equipped with safety masks and so on, some of
10 them insisted on being sure they were exposing it properly
11 by continually smelling it. So, I can say that for quite a
12 period of time -- I cannot be absolutely sure of it because
13 the plume is not that readily visible under the
14 atmospheric conditions that generally have existed at the
15 Gulf -- but for a period of time, sufficient to be
16 equivalent to that would occur if the biotal ocean
17 monitor hadn't been there.

18 DR. VENEZIA: Did you make organic analysis of the
19 water?

20 DR. PEQUEGNAT: We did not.

21 DR. VENEZIA: Thank you.

22 HEARING OFFICER MOLLOY: Thank you, Dr. Pequagnat.

23 We are going to go out of schedule here a little
24 bit. We have an airplane problem and if I can find my card
25 that I have just lost -- here we are. I am going to call on

opll 1 Glen Wood, Jr., Executive Director of the Mississippi
2 Air and Water Pollution Commission to make a statement on
3 behalf of the State of Mississippi.

4 While Mr. Wood is coming up, I have an announcement.
5 We have a problem. Somebody mistakenly took the only copy
6 we have of Mr. Matthews' statement and so we would like to
7 make copies of it. So if the person who took this by
8 mistake could return it to us, we will promise you a copy.

end 5 9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

js31
tape 6

1 HEARING OFFICER MOLLOY: Mr. Wood?

2 MR. WOOD: Thank you, Mr. Molloy. I appreciate the
3 opportunity to appear before this hearing to make some
4 comments.

5 I am Glenn Wood, Executive Director of the
6 Mississippi Air and Water Pollution Control Commission. I
7 have prepared a very statement in support of issuance of this
8 permit.

9 However, before I read that statement, I would like
10 to make some very brief remarks -- remarks which I have been
11 very hesitant to make, unless you feel that the State of
12 Mississippi has been less than objective in its review of the
13 proposal which is before this hearing this morning. Let me
14 assure you that such is absolutely not the case. We have not
15 only been objective, I feel that we have borne the brunt of
16 extreme public concern and criticism for some seven years
17 while the scientific determinations could be made, while all
18 of the proper and necessary procedures could be followed to
19 insure that the method which is being proposed was the best
20 method.

21 Let me assure you of one more thing. We do not have
22 another year in which to continue to view this matter
23 objectively. That is simply not available to us. In fact,
24 I am not real sure how we have gotten by the last three years,
25 but it has been with a great deal of forbearance and a great

js32 1 deal of objectivity on the part of the State of Mississippi
2 who has been involved with the Air Force in trying to come
3 up with a viable alternative.

4 I make these remarks because most of the concern,
5 indeed, all that I have heard expressed here this morning
6 has been in regard to the transportation of this material to
7 its disposal site. The prevention of spillage enroute and
8 whether the effects of incineration of that material could
9 indeed be measured. I should like to point out to you that
10 800,000 gallons of this material have been stored for seven
11 years in the very center of a highly-populated area
12 immediately -- immediately surrounded by recreational waters
13 on all sides. For every person in this room, there are
14 100 people who live in the immediate vicinity of these
15 15,000 drums of herbicide orange. These drums which are
16 stored outside in an environment which causes them to
17 deteriorate and have to be replaced periodically, and an
18 environment where the temperature exceeds 100 degrees
19 Fahrenheit for considerable periods of time regularly.

20 These people are concerned about emissions and
21 spillages which occur continuously. I trust that you will
22 be equally concerned with their protection, as well as with
23 the proper ultimate disposal of this material which I
24 certainly am.

25 The State of Mississippi fully supports the proposal

js33 1 presented by the Air Force which is the subject of this
2 hearing. Mississippi Air and Water Pollution Control
3 Commission has been fully involved in efforts to develop a
4 viable alternative and we are convinced that further efforts
5 in that direction from this point in time would be
6 irresponsible and would cause the continuance of a situation
7 which presently represents a substantial threat to the welfare,
8 if not to the health and safety, to the citizens of our
9 state.

10 We have reviewed the proposed plans as presented
11 here by the Air Force today, by Dr. Welch, and we feel that
12 their people are highly competent and are prepared to handle
13 this matter in a safe and responsible manner to an acceptable
14 conclusion.

15 We urge the prompt issuance of the requested
16 permit by the Environmental Protection Agency.

17 Thank you.

18 HEARING OFFICER MOLLOY: Thank you, Mr. Wood.

19 Thank you.

20 MR. WOOD: Thank you.

21 HEARING OFFICER MOLLOY: The next speaker this
22 afternoon is Mr. Bruce Turner who is a meteorologist and is
23 on detail to the Environmental Protection Agency, Research
24 Triangle Park, North Carolina.

25 MR. TURNER: Mr. Chairman, my name is Bruce Turner.

1834 1 I am employed as a meteorologist with the National Oceanic
2 and Atmospheric Administration, Department of Commerce, and
3 am on assignment to the Environmental Protection. On that
4 assignment I serve as chief of the Environmental Applications
5 Branch, Meteorology and Assessment Division, Environmental
6 Sciences Research Laboratory, Office of Research and
7 Development, Environmental Protection Agency.

8 In that capacity I am primarily concerned with
9 dispersion of air pollutants and their resultant concentrations
10 as released from both point and area sources.

11 I have reviewed the report, "Atmospheric Dispersion
12 Analysis of Effluent from the M/T Vulcanus," dated April 1,
13 1977, prepared by TRW. I believe this has been submitted
14 earlier this morning. The material is pertinent to a
15 determination of air pollutant concentrations resulting from
16 incineration at sea. I would agree with the authors that the
17 assumptions made are conservative; that is, likely to
18 overestimate concentration levels compared to what is likely
19 to occur in a real atmosphere.

20 In order to determine if the numerical results in
21 the report were correct, I first recalculated the emission
22 rate of TCDD from one incinerator stack using the assumptions
23 given in the report, and obtained a value of .537 grams per
24 hour, the same as given in the report.

25 I then calculated concentrations at various
distances downwind under very conservative assumptions,

js55 1 likely to overestimate concentrations. These assumptions
2 include low height of release and dispersion parameters
3 comparable to moderately stable conditions over land. This
4 would correspond to a smooth sea surface with air
5 temperatures somewhat above the sea surface temperature.

6 The results obtained from these independent
7 calculations were consistent with the results given in the
8 report. Therefore, I feel that the estimates given in this
9 report are reasonable state-of-the-art estimates, and
10 because of the assumptions made are likely to be much higher
11 than concentrations actually occurring in the atmosphere.

12 One additional comment regarding the ship's
13 operating procedures that has a bearing on the dispersion
14 of air pollutants released from the vessel. The vessel being
15 underway during incineration will, under most circumstances,
16 serve to further dilute the released materials. The movement
17 of the vessel should be in a general direction into the wind,
18 to prevent encountering a previously released portion of
19 the plume.

20 Also, if this direction of movement can be, not
21 directly into the wind but at a slight angle, even as small
22 as 10 degrees to the wind direction, this will serve to
23 continually move the point of release in the crosswind
24 direction, resulting in shorter times of exposure to plume
25 centerline concentrations at any point downwind for the

js56 1 situations where the wind direction remains quite steady
2 with time. This effect is greatest under adverse
3 meteorological, poor dispersion, conditions.

4 And I have a written statement to that effect.
5 to submit for the record.

6 HEARING OFFICER MOLLOY: Thank you. Thank you,
7 Mr. Turner.

8 The next speaker -- in fact, the only speaker
9 that has so indicated that they would like to talk is
10 Maureen Hinkle, Pesticide Monitor, representing EDF, National
11 Audubon Society and National Wildlife Federation.

12 Is she here?

13 MS. HINKLE: Thank you very much.

14 I am glad to be here on behalf of the Environmental
15 Defense Fund, the National Audubon Society and the National
16 Wildlife Federation.

17 EDF is a nonprofit coalition of scientists and
18 lawyers and others interested in finding scientific solutions
19 to environmental problems. EDF has been concerned with the
20 adverse effects of 2,4,5-T since March 22, 1972 when we
21 petitioned EPA to suspend all registrations containing
22 2,4,5-T.

23 Our concern with problems associated with the
24 use of 2,4,5-T continue, as the substantial question of safety
25 in regard to 2,4,5-T have yet to be rebutted. And there is

js37 1 increasing evidence of residues of dioxin in animals.

2 The National Audubon Society is one of the oldest
3 and largest conservation organizations with a worldwide
4 membership of over 350,000, and a well-established history
5 of concern about pollution of the marine environment, as
6 well as pesticides in the ecosystem.

7 The National Wildlife Federation is the nation's
8 largest nongovernmental conservation organization, 3.5
9 million members and supporters. The Federation has followed
10 very closely the federal ocean dumping program for over four
11 years, has been instrumental in bringing ocean incineration
12 under EPA regulatory control, has participated heavily in
13 the review of previous ocean incineration operations, and
14 has been involved in many of the proceedings and deliberations
15 concerning agent orange which have lead to today's hearing.

16 The disposal of agent orange is a matter of great
17 environmental significance because, as we all know, the
18 contaminant known as TCDD is present. We have participated
19 in the hearings, we have commented on the environmental impact
20 statement, and then, as now, our support of approval of the
21 research permit is expressly conditioned by our insistence
22 that as in the case of the Shell Chemical Company permit,
23 every aspect of the incineration process and its aftermath
24 be followed, measured, supervised, and evaluated, and that
25 the operation be aborted at the first sign of anything untoward.

js38 1 The Shell incineration of organochlorines and other
2 test studies support the anticipated efficiency of
3 destruction by incineration and negligible environmental
4 impact from exhaust vapors.

5 We believe that technical problems involved in a
6 full-scale incineration of agent orange have been anticipated
7 and resolved to effect efficient and relatively safe
8 destruction of agent orange, providing the following
9 conditions are met:

10 The first is that combustion temperatures exceed
11 1246 degrees Centigrade, unless some other combination of
12 combustion temperatures and all oxygen rates are determined
13 prior to incineration which are found to result in more
14 complete and efficient destruction of agent orange waste.

15 Two, combustion efficiencies are closely
16 monitored to insure that the maximum emission rates of TCDD,
17 2,4,-D or 2,4,5-T will not be in excess of 0.1 percent of
18 the corresponding amounts in the agent orange waste.

19 The Federal Register notice did say average and
20 we think this should say maximum.

21 Three, that stack samples are collected
22 periodically or continuously and used to demonstrate that the
23 toxic components of concern were, in fact, destroyed. If
24 the assumed percentage is not reached, any second permit
25 would need to modify conditions of incineration to achieve

j39 1 the requisite combustion efficiency.

2 Four, that failsafe measures are provided for
3 safety of personnel both onboard ship and in the transfer
4 and transport of the herbicide. Medical examinations should
5 also be provided for all personnel involved before and after
6 the program.

7 Five, contingency plans have been established in
8 case of mechanical malfunction. And these have already been
9 gone through. We feel competent enough.

10 Six, the 45,000 fifty-five gallon drums are rinsed
11 with diesel fuel, crushed, smelted and recycled within a
12 specified, reasonable period of time, with appropriate
13 consultation and coordination with relevant local
14 authorities.

15 Seven, accessory materials and contaminated soil
16 from the storage vicinity are properly disposed of.

17 Finally, we are concerned about what appears to
18 be an aspect of expediency surrounding this research permit
19 hearing. We hope the Air Force is not so tired of this
20 problem that the easiest way out has been selected, or that
21 convenience will be allowed to dictate the progress of the
22 entire operation.

23 All aspects of the disposal should be given the most
24 conscientious and careful attention. The extreme hazard of
25 the agent orange, as well as residues remaining in the drums

js40 1 and accessory material must be considered at every step.
2 The responsibility for the entire operation is the Air
3 Force's, as directed by the Secretary of Defense in 1971
4 and subject to review and supervision by EPA.

5 If this research test run -- IF in this research
6 test run combustion efficiency does not reach the
7 target 99.9 percent or other problems ensue, the remainder
8 of the agent orange may well require other disposal methods.

9 Properly controlled incineration at sea appears to
10 be a relatively safe method of disposal of the agent orange.
11 However, without adequate safeguards the advantages of at
12 sea incineration rapidly diminish.

13 We appreciate this opportunity for comment and
14 support the proposal under the above-indicated circumstances
15 as environmentally sound, consistent with the law, and
16 compatible with what we believe are the best interests of
17 the public.

18 Thank you.

19 HEARING OFFICER MOLLOY: Thank you.

20 We have no more indications that anyone would like
21 to speak. Is there anyone who forgot to indicate on the
22 registration card that they would like to speak this
23 afternoon?

24 (No response)

25 HEARING OFFICER MOLLOY: Did we ever get the one

1 copy returned?

2 OK.

3 Dr. Welch, you would like to speak?

4 R. WELCH: In response to the question that you
5 asked regarding the level of detectability away from the
6 ship, based on our quick calculations the worst case
7 conditions that have been used in these predictions we would
8 anticipate nondetectability 20 kilometers or so away from
9 the vessel. And under the average case we would anticipate
10 nondetectability at about 5 kilometers.

11 HEARING OFFICER MOLLOY: Thank you.

12 Well, if there are no other people who would like
13 to speak, I just again reiterate that the record will be
14 held open until next Wednesday afternoon for any written
15 comments that anyone would like to make.

16 And this hearing is adjourned.

17 (Whereupon, at 12:22 p.m., the hearing was
18 adjourned.)
19
20
21
22
23
24
25